

## **Transcript**

### **Solar Energy Development Programmatic EIS Scoping Meeting held in Barstow CA, June 17, 2008**

This Acrobat PDF file contains the transcript of the above referenced Solar Energy Development Programmatic EIS public scoping meeting. If you are interested in reading the scoping comments provided by a specific person or organization at this meeting, you may use Acrobat's search tool to locate the commenter's name/organization within the transcript.

UNITED STATES DEPARTMENT OF ENERGY AND  
BUREAU OF LAND MANAGEMENT

+ + + + +

SOLAR ENERGY DEVELOPMENT  
PROGRAMMATIC ENVIRONMENTAL IMPACT STATEMENT  
(PEIS)  
PUBLIC SCOPING MEETING

+ + + + +

TUESDAY,  
JUNE 17, 2008

+ + + + +

The above-entitled meeting convened at 6:30 p.m. at the City of Barstow Chamber of Commerce, 220 East Mountain View, Suite A, Barstow, California, Heidi Hartmann, facilitator, presiding.

PRESENT:

DOUG DAHLE  
National Renewal Energy Lab. (NREL)

JOHN GASPER  
Argonne National Laboratories

HEIDI HARTMANN  
Argonne National Laboratories

WILLIAM QUILLMAN  
Bureau of Land Management

LINDA RESSEGUE  
Bureau of Land Management

FRANK WILKINS

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

Department of Energy

TABLE OF CONTENTS

Opening of Meeting, Ms. Hartmann ..... 3  
Presentation by Mr. Quillman, BLM ..... 3  
Presentation by Mr. Wilkins, DOE ..... 5  
Presentation by Ms. Ressegue, BLM ..... 11  
Presentation by Mr. Dahle, NREL ..... 19  
Overview of PEIS ..... 32  
Questions from Participants ..... 38  
Outlining Comment Process, Ms. Hartmann .. 50  
Comments ..... 53  
Closing Remarks, Ms. Hartmann ..... 90  
Adjourn

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 P-R-O-C-E-E-D-I-N-G-S

2 6:34 p.m.

3 MS. HARTMANN: Good evening  
4 everyone. Thank you for coming. Welcome to  
5 this Public Scoping Meeting for the DOE and  
6 BLM -- I'm stumbling already. For the  
7 Programmatic EIS for Solar Energy Development.

8 And we're going to be introduced to  
9 the program by Mickey Quillman who is with the  
10 BLM Barstow office, the chief of resources.

11 MR. QUILLMAN: Good evening. Can  
12 you hear me? Thanks for coming to this public  
13 scoping meeting about the solar energy  
14 development on BLM-administered lands.

15 As part of our ongoing effort to  
16 increase domestic energy production and ensure  
17 greater energy security, the Department of  
18 Energy, the DOE, and the Bureau of Land  
19 Management, the BLM, have initiated a joint  
20 solar energy development Programmatic  
21 Environmental Impact Statement, a PEIS if you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 will.

2 Our agencies believe that preparing  
3 a Programmatic EIS is a critical step in  
4 evaluating the extent to which public lands  
5 with high solar energy potential may be able  
6 to help meet the nation's need for renewal  
7 energy.

8 The BLM already has over 125  
9 applications in the pipeline for solar rights  
10 of way and the energy potential for these  
11 sites alone is enormous. Over 70 billion  
12 watts of electricity, or enough power to  
13 provide energy to 20 million average American  
14 homes on a sustained basis.

15 This joint PEIS that will be  
16 administered or overseen by DOE's Argonne  
17 National Laboratory, will address  
18 environmental, social and economic impacts  
19 associated with solar energy development on  
20 BLM-managed public lands in six western  
21 states; Arizona, California, Colorado, Nevada,  
22 New Mexico and Utah.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           This joint PEIS will also evaluate  
2 a number of alternative management strategies  
3 to determine which presents the best  
4 management approach for the agencies to adopt  
5 in terms of mitigation of potential impacts  
6 while facilitating energy development while  
7 carrying out their respective missions.

8           I'd also like to welcome the  
9 representatives from DOE, representatives from  
10 the Argonne National Laboratories and the  
11 National Renewable Energy Labs who are going  
12 to help us with this meeting. We appreciate  
13 your interest in this project, your comments  
14 and your continued involvement as we proceed  
15 with our analysis. Thank you.

16           MS. HARTMANN:       Thank you. Next  
17 we're going to hear from Frank "Tex" Wilkins.  
18 He is the manager of DOE Solar Energy  
19 Technology Program.

20           MR. WILKINS:       Can you start the  
21 slides? Okay. Can you hear me? Can you hear  
22 me now?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'll give you sort of a snapshot of  
2 why DOE's interested in all of this. It  
3 starts off with the goals. Two of our primary  
4 goals have to do with, one, adding energy  
5 supplies from a diverse bunch of sources and  
6 the other is improving the environment while  
7 we're doing that. And those of us in the  
8 solar program think that solar energy fits the  
9 bill in both cases. Solar is certainly  
10 renewable and we think because it doesn't emit  
11 any greenhouse gases it helps the environment  
12 and can perhaps help solve some of our global  
13 warming problems.

14 So a little bit more about the  
15 program. This year we had approximately \$170  
16 million dollars appropriated for the work. By  
17 and large most of that goes towards research  
18 and development. DOE renewable energy  
19 programs basically are R&D. As you can see on  
20 the slide, \$152 out of the \$170 million is  
21 going toward research and development.  
22 Essentially that means we provide money to our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 national laboratories, industry and  
2 universities to reduce the cost of the  
3 technology and improve its reliability.

4 We do though have a little bit of  
5 money, around \$18 million, for market  
6 transformation. And what we have here is  
7 working with a variety of cities, other  
8 organizations, to try to remove some of the  
9 barriers to the deployment of the technology.

10 The work that we're doing for this  
11 solar PEIS with Argonne and the Bureau of  
12 Land Management is essentially part of that,  
13 although it's a small part of that \$18  
14 million.

15 Okay. What we do in solar, there's  
16 two basic technologies. One is photovoltaics  
17 and the other is concentrating solar power.  
18 Most of you are probably more familiar with  
19 the photovoltaics; it's generally found on  
20 rooftops, it also powers the space stations.  
21 You can see it along the highways powering our  
22 phones. But you can also put bunches of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 modules together and produce enough power so  
2 that it's utility scale or a central plant.

3 Concentrating solar power on the  
4 other hand by and large is generally large  
5 scale and for utilities scale systems. Now of  
6 that \$170 million, photovoltaics takes about  
7 \$140 of it and \$30 goes towards solar power,  
8 concentrating solar power. So you can see the  
9 emphasis within DOE is on photovoltaics.

10 Why are we working with BLM on all  
11 this? That answer's pretty easy. There's  
12 two things that a large scale solar project  
13 needs. One is it needs the best solar  
14 insolation we can find and in the six states  
15 that we're dealing with we have some of the  
16 solar insolation not only in this country but  
17 in the world. And to boot, the benefit is  
18 that there's a lot of people living in this  
19 general area so we have the solar insolation  
20 and we have the demand for it.

21 The other is that these plants  
22 require a fair amount of land. At least five

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 acres per each megawatt, so if you have 125 or  
2 250 megawatt project it requires about 2  
3 square miles. And a 250 megawatt project is  
4 sort of in the range where the technology is  
5 least expensive. So that's sort of the land  
6 part that brings us to BLM.

7 BLM manages 119 million acres in  
8 these six states so they've got the land.

9 What do we expect from this? One is  
10 we want to see what land is available. Those  
11 of us at DOE, and I'm an engineer, we sort of  
12 know the technical aspects of what's required  
13 for solar and generally what we're looking for  
14 is the most intense areas where solar is best  
15 and also we're looking for areas that are  
16 relatively flat, within a degree or 5 degrees  
17 of flat anyway.

18 But the other thing is we want to  
19 know what the environmental consequences are  
20 and there we are at DOE aren't so savvy but  
21 the BLM folks are so they're going to tell us  
22 what lands are available after you exclude all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the areas that have been excluded for a  
2 variety of environmental or cultural reasons.

3 Okay. So we're also interested in  
4 establishing a policy so that in the future  
5 when we or if we put together some money to  
6 support any kind of solar project, we will  
7 know what the best practices are and we will  
8 also know which ways to minimize the  
9 environmental impact of those projects.

10 A third benefit is that what we  
11 learn from this should help the developers of  
12 the technology when they get to have to do an  
13 environmental impact statement on a  
14 particular area for what project that they're  
15 looking at because they will not have to  
16 recreate the information that we're going to  
17 learn from this PEIS.

18 And the last thing we have here is  
19 that it will give us a more accurate model so  
20 that we can predict really the potential for  
21 solar energy in this country from the point of  
22 view of how much power it can produce, how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 many jobs it can create. These technologies  
2 tend to be capital intensive, which means that  
3 it requires a fair amount of labor to put them  
4 together in the first place and then to  
5 operate and maintain them. And then also what  
6 impact it will have on mitigating climate  
7 change. Climate change has become a more and  
8 more important element of national policy as  
9 we're moving forward and we'd like to have a  
10 better idea what role will solar energy had  
11 in helping mitigate that problem. Thank you,  
12 that's my--

13 MS. HARTMANN: Next Linda Ressegué  
14 will be speaking. Linda is from BLM's  
15 Washington office and she is the project  
16 manager for this PEIS.

17 MS. RESSEGUE: Thank you Heidi.  
18 Thank you all for coming tonight. I'm looking  
19 forward to hearing your comments on our  
20 scoping process and I really appreciate you  
21 taking the time to be with us tonight.

22 The Bureau of Land Management is an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 agency within the Department of the Interior  
2 that manages 258 million surfaces acres and  
3 the slide that's in front of you simply shows  
4 the distribution of those 258 million acres  
5 across the West and about 46 percent of those  
6 lands, you'll see in the next slide, about 46  
7 percent of those lands are, as Tex said, 119  
8 million acres are located within this six  
9 state study area for the solar PEIS.

10 BLM has a multiple use mission to  
11 sustain the health and productivity of the  
12 lands that we manage for the use and enjoyment  
13 of present and future generations. That's our  
14 mission statement if you will.

15 The Bureau accomplishes this by  
16 managing such activities as outdoor  
17 recreation, livestock grazing, mineral  
18 development, energy production and by  
19 conserving natural, historical and cultural  
20 resources on the public lands.

21 Solar energy is just one of the  
22 many energy resources now being developed or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 considered for public lands. To ensure the  
2 best balance of uses and resource protection  
3 for America's public lands, the BLM undertakes  
4 extensive land use planning through a  
5 collaborative approach with local and state  
6 government, tribal governments, the public and  
7 other stakeholders.

8 The result is a set of land use  
9 plans that provide the framework to guide  
10 decisions for every action and approved use on  
11 our public lands. But many of BLM's existing  
12 land use plans do not specifically address  
13 solar energy development.

14 So why is BLM involved in the  
15 preparation of the programmatic EIS? Well  
16 Tex says it's because we have all the land.  
17 But there are also other reasons. Executive  
18 Order 13212 -- I've never figured out whether  
19 you say thirteen thousand two twelve, what's  
20 the appropriate terminology, but that's the  
21 number -- directs federal agencies to expedite  
22 actions related to energy projects.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           We also have section 211 of the  
2 Energy Policy Act of 2005 that specifically  
3 tells the Department of the Interior to try to  
4 approve 10,000 megawatts of non-hydropower  
5 renewable energy on the public lands by 2015.  
6 So that act was passed in 2005. It's 2008, the  
7 goal is to have 10,000 megawatts approved by  
8 2015.

9           Now as I mentioned, BLM must manage  
10 public lands for a variety of resource uses  
11 and that does include energy production. The  
12 federal agency mix managed by BLM already has  
13 oil and gas, coal, helium, geothermal, wind  
14 and biomass and soon it will have utility  
15 scale solar.

16           Now BLM has previously estimated  
17 that as much as two-thirds of the public lands  
18 may have high potential for concentrated  
19 solar power energy production.

20           Utility scale solar projects on  
21 public lands, the ones that we're discussing  
22 tonight are authorized by BLM as rights of way

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 under the federal Land Policy and Management  
2 Act. All activities proposed on public lands  
3 must be consistent with the terms and  
4 conditions and decisions in an approved land  
5 use plan. Before BLM can approve a solar  
6 energy development project we have to assess  
7 the direct, indirect and cumulative impacts of  
8 such development. And we also have to  
9 consider other resource values on those lands.

10 Sensitive areas and public concerns. This  
11 is all completed through a NEPA process.

12 Now to date BLM has received more  
13 than 130 solar energy projects, or  
14 applications, and those are mainly located in  
15 Southern California, Arizona and Nevada.

16 This meeting is not about specific  
17 projects although you will have an opportunity  
18 to comment on projects as those projects go  
19 through their NEPA process.

20 Solar applications which have  
21 already been filed with BLM will continue to  
22 be processed under our existing guidelines on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 a case by case basis with site-specific NEPA  
2 review. Those pending applications will move  
3 forward in a parallel process with this PEIS.  
4 But for now BLM is not accepting any new solar  
5 right of way applications, so the ones that  
6 have already been filed will continue to be  
7 processed, each on their own merits, each with  
8 their own NEPA analysis, but we are not  
9 accepting any new applications until  
10 completion of the PEIS.

11 Now just a little bit about BLM's  
12 programmatic goals. Under our current solar  
13 development policy, applications are processed  
14 on a first come first served basis, again each  
15 with its own NEPA. But we believe that by  
16 looking programmatically at the broader issues  
17 associated with solar energy development we  
18 will able to develop a more comprehensive,  
19 consistent and efficient program approach to  
20 address solar energy proposals on public  
21 lands.

22 The programmatic EIS will identify

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 public lands that are best suited for solar  
2 energy development. We're also hoping get out  
3 of this mitigation strategies and best  
4 management practices to guide future solar  
5 energy development, and we are looking at the  
6 need for possibly additional transmission  
7 corridors specifically to facilitate solar  
8 energy development.

9 And, as some of may know, maybe all  
10 of you do I don't know, BLM is currently  
11 processing along with other federal agencies a  
12 programmatic Environmental Impact Statement  
13 for -- I'm trying to think what the word, we  
14 call it the West Side Corridor, but it is  
15 essentially rights of way transmission needs,  
16 a corridor approach across the West and so  
17 maybe some of you have participated in that.

18 We are going to be considering and  
19 putting forward the information from that as  
20 we look at solar, but we are also looking to  
21 see if there are any additional transmission  
22 needs specifically needed for solar

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 development.

2 We think that the programmatic EIS  
3 will be a key to understanding the impacts of  
4 solar energy development and will show us how  
5 best to deal with those impacts and that the  
6 resulting decisions will better foster and  
7 support the nation's need for environmentally  
8 sound solar energy development.

9 We expect to amend land use plans  
10 in the six state area to adopt the solar  
11 energy decisions made as a result of the  
12 programmatic EIS and these meetings are an  
13 important part of not only the NEPA process  
14 but BLM's planning process as well because the  
15 result will be plan amendments.

16 We've included proposed planning  
17 criteria in the Notice of Intent that was  
18 published May 29<sup>th</sup> and we're asking for your  
19 comments on those criteria during this scoping  
20 process. Thank you.

21 MS. HARTMANN: As was mentioned  
22 earlier, the National Renewable Energy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Laboratory or NREL is supporting DOE and BLM  
2 in some of their analyses for the PEIS. NREL  
3 looks at identifying solar resource potentials  
4 in the six state area and also at market  
5 transformation. And Doug Dahle of NREL is  
6 going to tell you a little bit more about that  
7 work.

8 MR. DAHLE: Thank you Heidi.  
9 It's a pleasure to be here tonight with you  
10 partnering with BLM and Argonne National  
11 Laboratory to work on this important piece of  
12 planning for the future in terms of solar  
13 development.

14 Basically I'd like to give you sort  
15 of a brief overview of the technologies that  
16 we're talking about and this is basically  
17 utility scale solar power, generally in the 10  
18 megawatts and larger. We also will show you a  
19 couple of maps which is actually the basic raw  
20 resource that shows up on BLM lands and how  
21 they play into the different resources that  
22 are used for each of these technologies. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 then a couple of slides on policies that  
2 affect the actual accelerated deployment of  
3 solar technologies.

4 Next slide. This is sort of the  
5 mix and the solar technologies come kind of  
6 in two basic categories, the first being  
7 dispatchable. What that means is there's a  
8 stored capability such that you don't have to  
9 rely on, these things don't shut down in terms  
10 of producing power after the sun goes down.  
11 Storage has always been a huge issue with  
12 regard to a lot of the renewable technologies.

13 First in that left hand slide is  
14 the parabolic trough. This is a picture of  
15 Kramer Junction in the Mojave Desert and in  
16 several 30 megawatt modules it uses a  
17 parabolic trough, basically a parabola if you  
18 remember geometry, and direct normal  
19 insolation focuses on a linear tube that using  
20 a special fluid gets up at a very high  
21 temperature. They run it through a heat  
22 exchanger, flash it into steam and run a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 conventional steam turbine.

2           The third slide there is what's  
3 called a Power Tower. This is also a  
4 concentrating solar power technology and  
5 there's one out in Daggett if you've ever had  
6 a chance to see it driving along, I think it's  
7 I-40. It's a huge tower and on top of it is  
8 a molten salt receiver and what it is made up  
9 of is what they call heliostats. These are  
10 two axis mirrors that track the sun all day  
11 long and focus the solar radiation on this  
12 receiver at the top which is molten salt.

13           One of the things about the Solar I  
14 that was built out in Daggett originally, some  
15 of the interesting performances, they were  
16 able to operate 24 hours a day for several  
17 days until several days of cloud didn't shut  
18 it down but basically it could not produce  
19 dispatchable power to Southern California  
20 Edison.

21           The fifth slide shows a fairly new  
22 technology called Compact Linear Fresnel Lens

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Reflector, and what this is it's a little bit  
2 different than the parabolic trough. The  
3 parabolic trough is lined up north-south and  
4 it tracks east to west as the sun goes by and  
5 focuses on the tube.

6 This is unique in the fact that the  
7 tube is actually fixed and the mirrors, flat  
8 mirrors, it's a little less expensive in terms  
9 of the technology but it actually heats steam  
10 running through this fixed tube, a little bit  
11 different technology.

12 The one above that, the fourth one  
13 in the corner, is called a dish Stirling  
14 Engine and what this is is it's a point  
15 focusing rather than linear focusing and  
16 basically it runs what's called a Stirling  
17 Engine. It basically heats the fluid, pushes  
18 pistons and runs a generator. It's not your  
19 internal combustion engine like your car. It's  
20 more simple in terms of piston power.

21 And then the last two that I see,  
22 the second one there is what's called

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 concentrating photovoltaics and the lower  
2 right is flat plate photovoltaics. So these  
3 are categorized into those that are  
4 dispatchable, particularly interesting for the  
5 investor-owned utilities and you'll see a  
6 slide later that kind of identifies the  
7 distinction.

8 Next slide. So going back to this  
9 dispatchable power, concentrating solar power,  
10 this is again that shot of the Kramer Junction  
11 Plant. One of the things about this parabolic  
12 trough linear focusing tube is the fact that  
13 these are basically commercial. We're seeing  
14 a lot of projects beginning to show up as a  
15 250-megawatt plant that Arizona public service  
16 just contracted for where they're using the  
17 same technology. I say commercial because  
18 this plant that you're seeing right there has  
19 been in operation for nearly 20 years.  
20 They're replaced some mirrors, they've  
21 replaced some of the tubes but otherwise  
22 they're been running flawlessly pretty much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 for 20 years and I would characterize that as  
2 commercially viable and reliable.

3 This is the one I talked about with  
4 regard to the molten salt. A receiver, this  
5 is the one that actually has what we call a  
6 capacity factor of 70 percent. It means that  
7 70 percent of the hours of 8,760 hours in a  
8 year, 70 percent of the time this thing is  
9 producing energy, and again the key is the  
10 storage, thermal storage to be able to take it  
11 into the morning and evening time frames when  
12 the sun's not out.

13 Next slide. Here's the value of  
14 the dispatchable power. Just sort of a  
15 representation, that red line basically is  
16 characterized, particularly from an investor-  
17 owned utility or a large utility company, this  
18 is basically what their system load looks like  
19 and in Southern California Edison, for  
20 example, their peaks are at 7 in the morning  
21 and 7 at night and not necessarily coincident  
22 with the solar resource.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           The beauty of having thermal  
2 storage is you can produce the power when that  
3 sun's out at its peak times and then be able  
4 to carry it through and meet the system loads  
5 peaks of a utility company. And it reduces  
6 their utility costs.

7           The other way you can do it also is  
8 by what's called a peaking plant where you're  
9 producing all the power when the sun's out  
10 which tends to be coincident, and particularly  
11 in this part of the country with air  
12 conditioning loads, and that's also you see  
13 that high point on the red line, that's when  
14 their peak hits during the day typically  
15 because of air conditioning in the summer  
16 time.

17           Next slide. This is the non-  
18 dispatchable concentrating solar power  
19 technologies, the one is the Stirling engine,  
20 it's a point focusing. These mirrors are  
21 focused on basically that axis there. It's a  
22 small disc about this big that gets very high

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 temperature, heats the fluid, runs a small  
2 engine which runs a generator. These are  
3 typically built in the 25 kilowatt range  
4 versus what you saw in the power tower was  
5 more like 30 megawatts and that big trough  
6 system was collectively 150 megawatts of five  
7 30-megawatt systems.

8 This is actually a picture of where  
9 it's being tested in our partner laboratory in  
10 the research and development for solar with  
11 Sandia National Laboratories. They've been  
12 testing these things for the last several  
13 years and they're ready to go commercial.

14 Next slide. This is another non-  
15 dispatchable central station potential and  
16 this is called concentrating photovoltaics.  
17 The effect here is basically when you look at  
18 any one of these but the first one is called  
19 reflective. It's very similar to the Stirling  
20 dish engine except it's focusing on  
21 photovoltaic cells, and the effect here, it  
22 always amazes me to see how it happens but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 basically it's creating the equivalent of 500  
2 suns.

3 The insolation of 500 suns on that  
4 PV panel. The panel's not very big but the  
5 essence of it is to get the same amount of  
6 power out of that PV cell you'd have to do 500  
7 flat plate PV cells to get the same energy out  
8 of it. The silicon cells are thin film cells  
9 is actually the most expensive part of any  
10 photovoltaic system, the actual cell itself.

11 The next technology in the  
12 concentrating PV systems is called reflective  
13 and what this is is you would call a lens.  
14 This lens right here takes that light and  
15 diffuses it. This is the opposite, it  
16 basically takes the solar radiation and  
17 refracts it into and focuses on the solar  
18 cells. The same situation and it creates the  
19 equivalent of 500 suns so the amount of  
20 silicon cells necessary to generate the power  
21 is one 500<sup>th</sup> of a flat plate system.

22 And then the last is a reflective

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 panel and it's got an optical rod that does  
2 the same thing. It's a little bit different  
3 technology but again it's a 500 sun  
4 equivalent, less solar cells to generate the  
5 same amount of power.

6 Next slide. What I want to show you  
7 here basically all those technologies we just  
8 talked about use what's called direct normal  
9 insolation, which means it's hitting 90  
10 degrees to sun surface.

11 This is the total resources based  
12 on satellite data as well as some modeling  
13 experts that we worked with and this is a  
14 public data base of the solar resources. What  
15 you see here is a lot of white areas, those  
16 are non-BLM lands. This is a solar resource  
17 on BLM lands.

18 One of the things we will be  
19 working with Argonne and BLM and DOE is  
20 applying if you will exclusions. We're not  
21 going to do critical habitat area. That will  
22 be removed from this. We're looking for that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 parabolic trough is flat land, one to 3  
2 percent slope, that reduces the amount of area  
3 that would be high potential for solar  
4 development.

5           Next slide. The last thing that  
6 you've probably seen conventionally, again as  
7 Tex said you see a lot of these on rooftops,  
8 you see them actually in car ports. We're  
9 showing basically these two because this is  
10 the utility scale that we're talking about.  
11 The first one in the U.S. the largest in the  
12 U.S. is at Nellis Air Force Base, flat plate  
13 collectors, they are single axis tracking so  
14 they track the sun as it moves from east to  
15 west. A huge plant.

16           And then the other one that's in  
17 the same range is in Portugal. It's 11  
18 megawatt flat plate tilted fixed but you can  
19 see just sort of the magnitude of the amount,  
20 this goes back to that 500 sun idea. You have  
21 so much more cells in the flat plate but it is  
22 a fairly cost effective technology today.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Next slide. This is what we call  
2 global solar resource for photovoltaics, not  
3 concentrating but the flat plates that we just  
4 looked at, use global radiation which means it  
5 includes that direct normal resource that we  
6 talked about for the concentrators but it also  
7 is to diffuse solar radiation as it hits  
8 clouds and whatnot. So it's a little lower  
9 resource but bottom line the PV cells can pick  
10 up every direction of sun available.

11           And the same thing we'll be using  
12 exclusions to reduce down where are the high  
13 potential areas. It's not everywhere you see  
14 this solar resource.

15           Next slide. In terms of the solar  
16 market potential, one of the things that NREL  
17 has is a model we call it reads and it  
18 basically is, it's hundreds of variables, it  
19 looks at transmission systems, state policies  
20 such as renewable portfolio standards and  
21 tries to predict, including looking at fossil  
22 plants, nuclear plants, whatever, the mix of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 generation technology and what the potential  
2 of the resources is.

3 This particular federal policy is a  
4 huge factor in terms of accelerating  
5 deployment of solar technology and we'll show  
6 you here in the next slide. What that is is a  
7 30 percent investment tax credit that's  
8 available to the private sector for solar  
9 development. This is a model we ran with this  
10 Reads model and basically saying over the next  
11 50 years what are we looking like in terms of  
12 power generation from solar technologies?

13 This is a situation, I drew that  
14 line basically which is the scope of this  
15 programmatic EIS is 20 years. Without that  
16 investment tax credit that is expected to  
17 expire at the end of this calendar year, we  
18 might see 6 gigawatts, that's like 6,000  
19 megawatts. That's not inconsequential but  
20 it's not near what BLM's goal is and nor in  
21 terms of energy security using solar.

22 Next slide shows you if that 30

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 percent tax credit is extended we're looking  
2 on the order of almost 40 gigawatts of power.  
3 This is 40,000 megawatts of solar development  
4 potential. So it's obviously a critical  
5 market policy. So that's all I've got.

6 MS. HARTMANN: I'd like to tell  
7 you about what an environmental impact  
8 statement is and accomplishes. It's an  
9 analysis of impacts of a proposed action,  
10 environmental impacts, socioeconomic impacts  
11 and cultural impacts are included. And it  
12 specifically states the purpose and need of  
13 the agencies conducting the action and what  
14 they want to accomplish.

15 In looking at the impact they're  
16 identified as potential mitigation measures  
17 identified. These mitigation measures may  
18 completely eliminate the impacts, an example  
19 of that might be the case where a certain  
20 piece of land is identified as being sensitive  
21 or threatening endangered species and so the  
22 location of the project is changed. Or the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 impacts you can identify mitigation measures  
2 that would minimize the impacts to an  
3 acceptable level.

4 I'm going to use this so our court  
5 reporter can get all the--

6 Included in an Environmental Impact  
7 Statement is an analysis of whether the  
8 impacts are short term or long term, and very  
9 importantly a cumulative impacts analysis is  
10 included which looks at not only the proposed  
11 action but other actions that are either  
12 past, present or reasonable foreseeable within  
13 the study area.

14 And finally it looks at the  
15 commitment of resources for the proposed  
16 action.

17 Of course very importantly, under  
18 NEPA you need to have public input and that  
19 always makes for a better EIS and that's why  
20 you're here tonight. We want to hear the  
21 concerns of individuals or organizations  
22 related to solar energy development.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 NEPA requires that any major  
2 federal action has an Environmental Impact  
3 Statement and it's determined that DOE and BLM  
4 establishing a program and policies that are  
5 agency specific for solar energy development  
6 is a major federal action.

7 For the programmatic part of that,  
8 programmatic EISs look at broad agency  
9 actions like this and do not look at site  
10 specific or project specific impacts.

11 When we talk about generic impacts  
12 for programmatic, examples for that might be  
13 comparing land required for the different  
14 technologies or water use requirement. And  
15 again we looked at potential mitigation  
16 measures.

17 Scoping is where we're at now.  
18 Scoping for an EIS begins with publication of  
19 the Notice of Intent in the Federal Register  
20 which for this EIS was on May 29<sup>th</sup>. Scoping  
21 includes hearing the public's ideas about the  
22 proposed action, about the alternatives that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the agencies are proposing to look at which  
2 I'll detail in a second.

3 Also we would like to accept data  
4 if people want to submit it and there's  
5 different ways for you to submit data to us.

6 The alternatives that have  
7 currently been identified for evaluation in  
8 the solar energy development PEIS include a no  
9 action alternative, a proposed action and a  
10 limited development alternative.

11 It's easier to start with what the  
12 proposed action is, which actually Linda and  
13 Tex have already talked about, which is  
14 developing agency-specific broad programs and  
15 policies to guide and facilitate utility scale  
16 solar energy development.

17 The no action, in comparison to  
18 that, would not develop agency-specific  
19 programs and proposals would be developed on a  
20 case by case basis.

21 Another part of the proposed action  
22 for the BLM is that they will do land use plan

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 amendments that will identify in their various  
2 field offices in the six state areas lands  
3 that would be available for solar energy  
4 development and also lands that might be  
5 excluded.

6 The limited action alternative, or  
7 limited development alternative, just applies  
8 for BLM and we would be looking at in that  
9 alternative the project that has already been  
10 submitted and proposed and has completed plans  
11 of development that are at this point just  
12 awaiting agency approval. And that would be  
13 then the limit of the development that would  
14 occur, at least hypothetically, of that  
15 alternative.

16 So for public involvement, EISs are  
17 a fairly lengthy process. Starting now with  
18 scoping you have an opportunity to provide  
19 your comments and the scoping period goes from  
20 May 29<sup>th</sup> through July 15<sup>th</sup>. And during that  
21 time period BLM and DOE are conducting 11  
22 public meetings in different towns and cities

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in the six state area.

2 The schedule calls for the draft  
3 EIS to be completed next spring in 2009 and,  
4 at that time, it's published and there is a  
5 certain public comment period, usually it's 30  
6 to 60 days, and you can submit comments at  
7 that time. And then you have one more chance  
8 to look at it when the final is published  
9 which is scheduled for spring of 2010.

10 This web site is a public  
11 involvement web site for the EIS and it's  
12 solarEIS.ANL.gov and it can be an important  
13 source of information for people interested in  
14 the PEIS process. It talks about there are  
15 documents available at this web site that are  
16 related to the EIS and general background  
17 documents. There's information about the  
18 technologies. For example, all these posters  
19 that you see on the site about the  
20 technologies are available on the EIS.  
21 Documents, the draft will be there. Also  
22 about the end of August, a summary of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 scoping meetings, a scoping report will be  
2 available.

3           You may have signed up and provided  
4 your e-mail address at the registration  
5 tonight and that will put you on the web site  
6 mailing list and you will receive e-mail  
7 notifications of any events that are  
8 associated with the EIS. So it's a good  
9 place to look.

10           All right. I'm going to stop for a  
11 moment now because the DOE and BLM  
12 representatives, Linda and Tex and Doug also,  
13 we'd like before we start to take public  
14 comments. We'd like to find out if you have  
15 any questions about the information that we've  
16 presented so far. So if you would like to ask  
17 anyone a question, just raise your hand and  
18 I'll bring you the mic. If you could  
19 identify yourself also.

20           MR. ARCANTARO: Yes, I'm Phil  
21 Arcantaro of Barstow, California. Did you say  
22 that the technology, the third technology was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 photovoltaic or reflective?

2 MR. DAHLE: Actually, there is  
3 really no preference. What I would  
4 characterize today is the parabolic trough or  
5 the concentrating solar power, solar large  
6 plants has met the test of commercialization  
7 in terms of being in place for a long time.

8 The key there is the fact that it  
9 actually in cents per kilowatt hour is now  
10 beginning to approach like in Southern  
11 California you're looking at 10, 11, 12 cents  
12 a kilowatt hour. That's the only technology  
13 those solars is beginning to approach that  
14 level. Photovoltaic is still in the 15 to 20  
15 cents per kilowatt hour range.

16 The other way to characterize it is  
17 probably closer to commercial power today from  
18 large utilities, particularly in this part of  
19 the country.

20 MR. WILKINS: But from another  
21 point of view, really we have no preference on  
22 these technologies if the Department of Energy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 were developing all the technologies, and were  
2 hopeful that they will all become more  
3 competitive and it's up to the market to  
4 determine which one will ultimately or which  
5 ones will become real popular and commercial.

6 MR. ARCANTARO: So additionally  
7 I'd just like to ask, you have no plans for  
8 wind generation in any of these?

9 MR. WILKINS: No, this is strictly  
10 for solar. The weather part of DOE does wind  
11 and indeed there was a wind PEIS I guess done  
12 a couple of years ago.

13 MR. ARCANTARO: Okay. Thank you.

14 MR. GREENSHIELDS: My name is Ed  
15 Greenshields, I live in the Morongo Basin. Of  
16 the \$140 million dollars you have for R&D and  
17 photovoltaic, how much of that is earmarked  
18 for point of use systems which are getting  
19 more and more popular in the state of  
20 California in communities that are offering  
21 incentives and tax advantages for those  
22 homeowners who wish to try to put those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 systems in? That's one question.

2 Another question is why is the EPA  
3 not involved in this process? And the third  
4 is how long have you been at DOE?

5 MR. WILKINS: Let's see. When we  
6 do the R&D we don't necessarily look at it as  
7 to what the end use application will be. With  
8 the photovoltaic we're working with a lot of  
9 developers on improving the research and  
10 development to make the modules more  
11 efficient, but we're also working with them on  
12 manufacturing processes so that they can make  
13 more of them less expensive.

14 How they then use those modules,  
15 whether it's for rooftop applications or for  
16 them to gang them together for utility sale is  
17 up to them.

18 Now there are some developers that  
19 we're working with, particularly as Doug has  
20 shown the concentrating photovoltaics, those  
21 are more likely to become utility scale  
22 although they could also be for communities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And I don't remember offhand the amount that  
2 goes there but I would say that's a relatively  
3 small amount, maybe less than \$10 million of  
4 that goes towards concentrating photovoltaics.

5 Let's see. Why EPA isn't involved  
6 in this? I guess I didn't see their  
7 involvement in this. I thought that the BLM  
8 and the NEPA process was going to be  
9 characterizing the environmental aspects of it  
10 sufficiently.

11 MS. HARTMANN: And EPA does  
12 typically submit comments on EIS.

13 MR. WILKINS: And then how long  
14 have been at DOE? Forever. I've been there  
15 actually since around 1980.

16 MR. GREENSHIELDS: Thank you.

17 MR. RAY: Thank you. My name is  
18 Robert Ray and I'm with URS Corporation in  
19 Santa Barbara and I'm a senior project manager  
20 for large energy development projects, and I  
21 have a couple of questions.

22 I think my questions most likely

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would be directed at the BLM but anybody that  
2 can answer them that would be helpful.

3 One of the questions I have is it  
4 looks like part of the plan is to look at  
5 areas that are appropriate for locating solar  
6 projects, considering solar radiation of  
7 different types, topography, slope and  
8 sensitive environmental resources, etc. And I  
9 guess I'm aware of quite a few that have  
10 been done all over the western United States  
11 by multiple groups. And there's a lot of  
12 solar applicants that have already considered  
13 all that information and put that in their  
14 applications.

15 And I would bet that the majority  
16 of the suitable areas have already been filed  
17 on as well as quite a few areas that are  
18 probably not suitable as well.

19 So my question is when you get done  
20 with your process is really what you're going  
21 to be doing is weeding out applications that  
22 have already been filed, I would seriously

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 doubt you're going to identify new areas that  
2 were appropriate based on the criteria. So  
3 that's my first question.

4 Then also if you're going to  
5 continue to process applications that have  
6 already been filed but they don't pass your  
7 criteria, does that mean that those projects  
8 are just going to be basically not approved?  
9 I would think that would be something that  
10 would occur regardless of whether you went  
11 through the programmatic EIS or if you dealt  
12 with those on an individual basis. And  
13 theoretically by the time you get to the end  
14 of your programmatic EIS you would have gotten  
15 to that point anyway if you went through the  
16 normal process.

17 Just a thought. I'm not trying to  
18 be negative, I'm just thinking out loud here.

19 Also I'm wondering, we've heard  
20 that there's probably going to be a revised  
21 plan of development requirements that are  
22 going to be issued and one of the comments

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that was made was that if an applicant had a  
2 submitted application and an approved plan of  
3 development and that they were likely already  
4 in the process, potentially would continue to  
5 be, their application would be processed I  
6 guess if there's going to be revised POD  
7 requirements coming out. Does that mean that  
8 some of the PODs that have already been  
9 submitted are going to have to be revised and  
10 reconsidered and that could impact quite a  
11 few applicants I would think.

12 There seems to be some question  
13 about what the POD requirements are.

14 MS. HARTMANN: I think that runs  
15 into more comments than questions but did you  
16 want to--

17 MS. RESSEGUE: I can respond to  
18 some of your questions but I do hope that you  
19 also are planning to submit your questions as  
20 comments because I felt that they weren't just  
21 questions but they were also important to the  
22 scoping process.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           You specifically ask about plans of  
2 development and BLM is taking a look at what  
3 we're calling refining the plans of  
4 development because basically the first thing  
5 that we have to do under existing solar energy  
6 development process is initiate a Notice of  
7 Intent and environmental review for a project.

8           And what we're finding is that some  
9 companies do not have enough details in front  
10 of us for us to be able to go ahead and  
11 initiate the NEPA analysis because we don't  
12 know enough about the project.

13           So what you've heard is correct. We  
14 are looking at that and the idea is that the  
15 more concrete the proposal the more ready we  
16 are to start the Notice of Intent, to start  
17 the environmental review, and proceed with  
18 evaluating the impacts of the project.

19           You also discussed the idea of all  
20 of the land already being applied for and in  
21 southern California at least there are I think  
22 Steve Borchard said last night 600,000 acres

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 under application already. And I am sure  
2 that those companies did as you suggested, do  
3 their research and choose the best because why  
4 would they do otherwise?

5 But we do intend to continue to  
6 process those applications because we have  
7 received them and we're committed to going  
8 forward with them.

9 And there was a question in the  
10 middle but I don't remember what it was.

11 MR. ROY: The question was if  
12 you're going to reissue or revise the POD  
13 requirements, which I don't disagree with, but  
14 I'm just wondering you had indicated that the  
15 projects that were going to continue moving  
16 forward were ones for which applications had  
17 already been submitted and for which PODs have  
18 been accepted. If you're going to revise the  
19 POD requirements theoretically none of the  
20 PODs are currently accepted.

21 I guess I'm just wondering whether  
22 you're going to make people resubmit?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 MS. RESSEGUE: What we intend to  
2 do is once we have our sort of minimum  
3 requirements for going forward, we get back  
4 with the companies, let them know what we  
5 still need, but we fully intend to continue to  
6 work with the companies to get to where they  
7 need to be even though we might need more  
8 information to go forward.

9 MR. RAY: Okay. Thank you. Can I  
10 ask one more? Is that all right? In terms  
11 of transmission line rights of way, right of  
12 way grants for transmission lines or access  
13 roads if an applicant has private land that is  
14 not on BLM and the solar project would be  
15 completely on private land but they need to  
16 interconnect by crossing BLM land or need  
17 access across BLM land, are those applications  
18 frozen as well?

19 MS. RESSEGUE: My understanding is  
20 that those applications would be a  
21 transmission or an access road type  
22 application. It is connected to a solar

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 project but I believe that BLM will view those  
2 as an access road right of way, a  
3 transmission right of way, not as a solar  
4 energy development right of way. That's my  
5 understanding.

6 MR. RAY: Thank you.

7 MS. HARTMANN: We're just going to  
8 take a few more questions so that we can also  
9 begin taking comments.

10 MR. McCLELLAN: Mark McClellan  
11 from -- Solar and Wind. Just a question on  
12 the R&D stuff. Are you going to be using any  
13 of the nanotechnologies or any of the other  
14 technologies that are coming up?

15 MR. WILKINS: When you say use  
16 them--

17 MR. McCLELLAN: Nanotechnologies  
18 where they're condensing the chips down, the  
19 solar panels down to smaller sizes.

20 MR. WILKINS: We are working with  
21 companies that are using nanotechnology and  
22 we're trying to help those folks have a better

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 system. Whether or not any of those  
2 developers submits to BLM for a project,  
3 that's going to be up to them. We don't get  
4 into that aspect of the projects.

5 MS. HARTMANN: Is there anyone  
6 else? Well I'm just going to go through a  
7 little bit of information about the comment  
8 process and there's several ways that you can  
9 submit comments.

10 One is here tonight at this  
11 meeting, you can get up and make a statement  
12 if you like. You can also submit comments on  
13 the web site. There's comment forms there and  
14 that's a very easy way to get the comments in  
15 to us. You can also submit the comments in  
16 writing. When you came in, at the  
17 registration table there were comment forms  
18 that were given to you and there's not a lot  
19 of space on those but if you have a short  
20 comment you can just write it down tonight and  
21 hand it to one of the staff here who you'll  
22 know we're staff if we are wearing a name tag.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Or else you can take it with you and mail it  
2 in later if you just fold it over and staple  
3 it. You can do that.

4 The comments are accepted through  
5 the end of the scoping period, which is close  
6 of business on July 15<sup>th</sup> which is about a week  
7 after the last scoping meeting.

8 The next slide. Oh also I just  
9 want to mention you, you don't need to use  
10 that comment form. If you want to mail a  
11 letter you can do that and if you have  
12 materials that you want us to look at you can  
13 send those, you can also submit electronic  
14 documents if you are submitting a comment on  
15 the web.

16 So for oral comments, okay. Well I  
17 think we've probably gone through most of  
18 this. The address for mailing in the comments  
19 is on the comment forms and also on the web  
20 site if you want to do that.

21 For tonight we have a list of  
22 people who pre-registered and I'm going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 call them and then additional people who  
2 signed up at the table. We'll take them in  
3 order.

4 We have a three minute initial  
5 comment time limit but we want to hear  
6 everything everyone has to say and so if you  
7 come up to make your statement and you're not  
8 quite done after three minutes you can sit  
9 down again and we'll go through the rest of  
10 the people who signed up to comment and ask if  
11 there's any additional and you can come up at  
12 the end and complete your statement.

13 If you did not sign up at pre-  
14 register or at the registration table, that's  
15 all right too. We'll give everyone a chance  
16 to speak if they become motivated to do so  
17 during the course of listening to all of the  
18 comments.

19 The way I'm going to instruct you  
20 about the three minute comment time limit is I  
21 have a yellow card here, Mark is going to show  
22 you that. I will flash that card up at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 two minute point and when you've gotten to  
2 three minutes I'll flash up the red card and  
3 you'll need to conclude and let the next  
4 person speak. And am I forgetting anything?

5 The contact person for the  
6 Department of Energy is Lisa Jorgensen, I'm  
7 going to introduce her here, and you can  
8 contact her or Linda if you have any questions  
9 outside of the field. All right. And everyone  
10 can come up here to the podium to make their  
11 statement. I apologize if I mispronounce any  
12 of the names. I'm going to say who the first  
13 three speakers are so you know that you're  
14 coming up and I'll just do that throughout.

15 Our first speaker will be Monica  
16 Argandona, and then we have Dai Owen and Lee  
17 Hayes. Are you all here?

18 MS. ARGANDONA: My printer broke  
19 this evening so I apologize for my computer.  
20 My name is Monica Argandona and I'm the desert  
21 program director for the California Wilderness  
22 Coalition. I'm here today to represent our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 5,000 members statewide.

2 First, I want to commend BLM and  
3 DOE for taking the initiative to hold these  
4 scoping meetings and performing a programmatic  
5 EIS on solar development in the desert. The  
6 fact that BLM and DOE are jointly preparing a  
7 programmatic EIS and that we're all here to  
8 talk about solar development in the desert  
9 reflects the importance of this issue.

10 It also shows that the desert is  
11 not just that annoying thing that we have to  
12 drive through in order to get to Vegas, but  
13 rather a rich and diverse ecosystem that many  
14 of us here care about.

15 Having said that, the California  
16 Wilderness Coalition strongly supports the  
17 emission reduction goals in Assembly Bill 32,  
18 including the development of renewable energy  
19 in California.

20 However, there are appropriate  
21 places for solar development and inappropriate  
22 places. It's not acceptable to green wash all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 solar projects with the argument that they  
2 will provide much needed renewable energy if  
3 they're doing irreparable damage to the  
4 desert.

5 If your doctor tells you to lose  
6 weight for your health and you lose the weight  
7 but take up smoking instead, have you really  
8 made any improvements?

9 The same goes for solar development  
10 in the desert and the importance of finding  
11 the appropriate places. Are we really gaining  
12 anything if we destroy important species'  
13 habitat, deplete our precious water resources  
14 or devalue wilderness and cultural sites with  
15 solar development.

16 We commend BLM for already  
17 recognizing places where development should  
18 not be permitted, such as wilderness areas,  
19 wilderness study areas, national monuments,  
20 national conservation areas, wild and scenic  
21 rivers, national historic and scenic trails  
22 and lands that are environmentally sensitive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 including ACECs and quote "other special  
2 management" areas that are inappropriate for  
3 or inconsistent with extensive surface  
4 disturbing uses. In addition to this, it is  
5 our hope that BLM and DOE will also consider  
6 and protect other values, such as wildlife,  
7 air quality, cultural resources and water.

8 BLM and DOE can achieve this by (1)  
9 minimizing the project's ecological footprint,  
10 avoiding all sensitive and rare natural  
11 communities, analyzing, avoiding, minimizing  
12 and otherwise fully mitigating impacts to wide  
13 ranging species, avoid identified wildlife  
14 corridors, avoid overlap with designated  
15 critical habitat for federally listed species  
16 and share full and complete coordination with  
17 other planning efforts such as coordinating  
18 with the west side energy corridor PEIS in  
19 order to avoid construction of excess lines.  
20 Take into consideration the incredible amount  
21 of water needed by solar development and how  
22 precious this resource is in the desert, using

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 existing roads when possible and in looking  
2 for appropriate sites, first consider private  
3 and public lands previously used for  
4 agriculture, developed transportation  
5 corridors, abandoned mine sites and--

6 Since I'm running out of time and I  
7 talked as fast as I could, we'll be submitting  
8 formal comments but I thank you for letting me  
9 speak tonight.

10 MS. HARTMANN: Thank you. Our  
11 next speaker will be Dai Owen.

12 MR. OWEN: Hi. Thanks for having  
13 us and allowing us to speak again and I gave  
14 some formal comments last night to BLM DOE so  
15 I thought tonight I would address the rest of  
16 the folks that are coming here.

17 And I represent enXco which is a  
18 renewable energy company. We have 20 years of  
19 experience in winds development and are now  
20 looking at solar too. We have a 150 megawatt  
21 wind project that's being built this year in  
22 Solano County between the Bay Area and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Sacramento, and solar to date we just have a  
2 one megawatt so it wouldn't qualify for  
3 utility scale for Doug's qualification there.  
4 But one megawatt in Sacramento of PV.

5 And I thought I would just say a  
6 little bit about kind of how I got to where I  
7 am today and enXco. These are not enXco  
8 comments but more to give you a little bit of  
9 the human side of where one person in  
10 renewable energy is.

11 And in my background I spent the  
12 first three years out of college teaching  
13 environmental education to students and living  
14 below the poverty line doing that. And then  
15 spent eight years teaching environmental  
16 science at a high school level, and then a  
17 year at NRDC which is a large environmental  
18 organization, working on renewable energy  
19 policy before coming to enXco.

20 And I know that many of my  
21 colleagues in the renewable energy field have  
22 similar interests. Some of them have similar

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 backgrounds to me and I think it's really  
2 important in this process that everybody comes  
3 together, we really figure out where are the  
4 best places, like Ms. Argandona just talked  
5 about and NRDC has basically the same list  
6 when I was working there. Where are the best  
7 places that we can go? There will be some  
8 compromises that we have to make but I think  
9 that the climate change impacts are very big  
10 and they're going to be big here and solar  
11 needs to be part of that mix. Thank you.

12 MS. HARTMANN: Next we have Lee  
13 Hayes and after Lee will be Chuck Bell and  
14 Leroy Corlett.

15 MR. HAYES: Good evening. I feel  
16 a little bit awkward, I brought 30 handouts  
17 not realizing anywhere near this many people  
18 would be here so after the meeting's over I'll  
19 be out front and if anyone would like a  
20 handout I'd love to touch base with you.

21 I can't believe that the BLM is  
22 even considering permitting anyone to scrape

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 off thousands of acres of the desert and then  
2 pump water out of it. It's like finding out  
3 my brother's a serial killer or something.  
4 We're talking about thousands of acres. The  
5 Ivanpah Project a little under 4,000 acres. I  
6 have friends in the BLM and I'm thinking how  
7 on earth can you even consider that.

8           And then if we look at the  
9 parabolic trough system, that's one of the  
10 most popular systems because it's the  
11 cheapest. But the parabolic trough system  
12 uses 800 to 1,000 gallons of water to produce  
13 one megawatt hour of electricity. The 400  
14 megawatt plant that we're talking about over  
15 there will consume 400,000 gallons of water to  
16 produce 400 megawatt hours of electricity.

17           The desert doesn't have that kind  
18 of water. We simply don't have it. One of  
19 the things that I do, I work for the Bighorn  
20 Sheep Society at times. I go into the high  
21 country and survey the springs. A lot of  
22 those springs aren't springs any longer.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 They're on the USGS maps but there's no water  
2 there. We can't possibly pull this amount of  
3 water out of the east Mojave, it's not going  
4 to work.

5 And I'll be outside after the  
6 meeting and I'll have some handouts and I  
7 would really like to touch bases with some of  
8 the folks here. Thank you very much.

9 MS. HARTMANN: Chuck Bell?

10 MR. BELL: Thank you. Chuck  
11 Bell, Secretary, Lucerne Valley Economic  
12 Development Association. We're an  
13 unincorporated community about 35 miles south  
14 of here surrounded by solar and wind proposals  
15 and even worse LADWP's Green Path North  
16 Project going right through our community.

17 An excerpt from our mission  
18 statement, "promote development that is both  
19 economic and compatible with our rural  
20 lifestyle environment and resource  
21 availability."

22 And I'll read an excerpt from our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 statement that we have submitted through the  
2 internet. "We have wind and sun which should  
3 be shared with our countrymen, but we also  
4 have the Mojave desert which is a treasure  
5 unto itself which cannot be consumed for the  
6 benefit of the over populated urban mess in  
7 the coastal basin" -- not that I have any  
8 opinion about that.

9 "We already provide that  
10 megalopolis with limestone cement aggregate  
11 with its incessant truck traffic, recreation,  
12 particularly the resource consumptive open OHV  
13 areas, the largest in the world. Power line,  
14 pipe line corridors. Tremendous amount of  
15 acreage for expanding military bases with more  
16 on the way. Public open space and immense  
17 areas already set aside for habitat  
18 protection. This programmatic analysis should  
19 include a quantitative assessment of the  
20 megawatts of solar power that could be  
21 potentially generated within the urban areas  
22 of demand, i.e. rooftop and parking lot solar

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 prior to any further commitment of public land  
2 resources to the subsidy of urban areas. It  
3 should also take into account the nationwide  
4 options for nuclear plants at locations with  
5 sufficient water sources.

6 This process must include an in-  
7 depth survey of Southern California desert  
8 plans and maps, identifying the limited areas  
9 available and suitable for solar plants,  
10 listing and quantifying the amount of acreage  
11 and alignments already dedicated to the land  
12 uses that we already provide Southern  
13 California.

14 If this endeavor does that, then  
15 it's all worthwhile. This is very important  
16 to us. BLM should not displace private sector  
17 opportunities. The cheaper use of government  
18 land could compete with private and therefore  
19 there are a lot of ag land, fallow ag land and  
20 other areas in Southern California counties  
21 that cannot be developed for any other use  
22 because there's no water. So don't compete

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 with the private sector.

2 And where do you mitigate all of  
3 these impacts? Do you have enough land to do  
4 it? I don't think you do. Thank you.

5 MS. HARTMANN: Next we'll have  
6 Leroy Corlett and after Leroy will be Tom  
7 Mulvihill and D'Anne Albers.

8 MR. CORLETT: Good evening. My  
9 name is Leroy Corlett, I'm vice president of  
10 the Indian Wells Valley water district in  
11 Ridgecrest, California.

12 I am here to state that energy  
13 sustainability through these projects must not  
14 be done at the expense of other natural  
15 resources, which in our case is water. The  
16 Indian Wells Valley which is the only source  
17 of water for the city of Ridgecrest and the  
18 Naval Air Weapons Station China Lake,  
19 California, is a closed basin from which more  
20 water is already being taken than is being  
21 recharged into the basin.

22 The wet cooling solar projects

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 being proposed for the Indian Wells Valley  
2 will consume an abnormal amount of water from  
3 our finite source.

4 I urge you to consider the effects  
5 of these projects on other natural resources  
6 such as water and require the best technology  
7 that has minimal effects on other natural  
8 resources be used in these projects.

9 You tout Kramer Junction and the  
10 solar plant as an example but it is also the  
11 biggest user of natural gas on the upper  
12 Mojave Desert. Thank you.

13 MS. HARTMANN: Tom Mulvihill?

14 MR. MULVIHILL: I'm Tom Mulvihill  
15 the general manager of Indian Wells Valley  
16 water district.

17 I want to bring your attention that  
18 solar thermal power plants with wet cooling  
19 towers use substantial amounts of water.  
20 While an exact figure for the water  
21 consumption using wet cooling varies from  
22 plant to plant because of technical details,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the extent of thermal storage, the location  
2 and degree of conservatism being exercised by  
3 the proponents, it is necessarily a very  
4 significant use of water. Wet cooled solar  
5 thermal power plants may use as much as 1,000  
6 acre feet of water per year per 100 megawatt  
7 of capacity.

8 Dry cooling technology uses air for  
9 cooling and consumes 95 percent less water  
10 than wet cooling and there are numerous  
11 projects which are either under construction  
12 or proposed which show the economic  
13 feasibility of dry cooling.

14 Water is our most vital resource.  
15 It is the position of Indian Wells Valley  
16 water district that the development of one  
17 natural resource, solar power, should not come  
18 at the expense of another.

19 Dry cooling should be used only if  
20 local agencies responsible for water supply  
21 determine that there are environmentally  
22 reasonable sources for water available for wet

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cooling. Therefore the use of water must be  
2 identified as a significant environmental  
3 issue that must be included in the scope of  
4 this PEIS.

5 Specifically, this PEIS must  
6 require an analysis on the part of proposed  
7 applicants as to whether proposed projects  
8 substantially deplete groundwater supplies or  
9 interfere substantially with groundwater  
10 recharge such that a net deficit in aquifer  
11 volume or lowering of the local groundwater  
12 table level would result.

13 The PEIS must require an analysis  
14 on the part of proposal applicants as to  
15 whether proposed projects substantially  
16 degrade water quality. Specialists with  
17 expertise in hydrogeology must be part of the  
18 agency's interdisciplinary approaches which  
19 was alluded to in the Notice of Intent for the  
20 PEIS.

21 So this decision must be made in  
22 consultation with local agencies whose mission

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is to develop, manage and supply water. Thank  
2 you.

3 MS. HARTMANN: Next we'll have  
4 D'Anne Albers and after D'Anne we'll have Nick  
5 Panchev and Ed Greenshields. Is D'Anne here?  
6 All right. Then we'll move on to Nick  
7 Panchev.

8 MR. PANCHEV: Good evening panel.  
9 I am so flattered of you to be here. Nick  
10 Panchev, CEO Aquasystems Solar Electric, Solar  
11 MW Energy, Inc. SFM-1 through SFM-30 \$4.5  
12 billion dollar proposed projects, 30 super  
13 peakers. May I have some of our staff yield  
14 three minutes to me or should I go  
15 incrementally each three minutes come back  
16 here. I have Peter Panchev, president, would  
17 you like to yield three minutes of your time?  
18 Thank you. Rudy, would you like to yield  
19 three minutes of your time? This is staff  
20 member of Aquasystem. Mike, would you like  
21 to yield three minutes of your time? Thank  
22 you. Got 12 minutes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           The California Commission counts  
2 the same way, it's a rule. So I do the same  
3 way.

4           Water here it's of value, one to  
5 maybe 100. If the energy commission sees  
6 volume 1000, pages 1 and 2, it's only the tip  
7 of an iceberg. It is so big.

8           Here we have millions of acres.  
9 That's fine. Grateful BLM United States.  
10 Maybe only 2 percent will be next or close to  
11 a load centers of transmission lines.  
12 Unfeasible.

13           Most of the most viable projects  
14 run supplemental natural gas. Of course, 300  
15 El Paso runs from Arizona border all the way  
16 north. You pass us right here and continues to  
17 Boron, continues all the way then 395, it's a  
18 small line which is reserved for the military.

19           But that 34 inch line is critical in the  
20 existence of a viable of course parabolic  
21 trough, especially the twin parabolic  
22 receivers and twin parabolic collectors, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 new invention. The reason is being not  
2 revealed because not to fall into the public  
3 domain.

4 The next one is water. There's  
5 answers by a company like ours for everything.

6 We don't need one drop of water from wells.  
7 Three minutes or more ten minutes?

8 MS. HARTMANN: We'll give you a  
9 little bit more time and you can come up  
10 afterwards and continue after everyone has  
11 spoken. All right. Is Ed Greenshields here?

12 And after Ed I believe Kevin Harper had to  
13 leave so Tony Malone.

14 MR. GREENSHIELDS: My name is Ed  
15 Greenshields, I'm with the Desert Community  
16 Association of Realtors working on a committee  
17 of alternative energy and reporting to the  
18 California Association of Realtors, and I'm  
19 also with a group in the Marango Basin called  
20 the Alliance for Responsible Energy. Both of  
21 these are in the Marango basin and close to  
22 Joshua Tree National Park.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'm not here on an expense account.  
2 Last night, members of these groups and  
3 environmentalists expressed concern for the  
4 applications of the point of use solar and  
5 wind systems. They were told by  
6 representatives of big solar that their facts  
7 were wrong and that they should not be taken  
8 seriously.

9 It is true, yes, that point of use  
10 solar and wind systems are expensive, not as  
11 efficient as we'd like and utilities companies  
12 for the most part do not want to deal with  
13 these microsystems. That makes the big solar  
14 industry, no excuse me, that makes this  
15 industry not very popular and that's what big  
16 solar is counting on. They don't like  
17 splitting up the pie.

18 If our government can invest real  
19 R&D money and develop these environmentally  
20 friendly microsystems we would not only take  
21 the burden off the larger systems, increase  
22 property values and impact individual family

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 economics as well as develop a new world  
2 market for rural communities alternative  
3 energies.

4 That's big for our economy and our  
5 nation that wants to help future generations  
6 around the world. And I'd like to thank DOE  
7 and BLM for having these meetings.

8 MS. HARTMANN: Is Tony Malone  
9 here? After Tony we'll have Phil Alcantara  
10 and then after that Norman Diaz.

11 MR. MALONE: Hi. I'm Tony  
12 Malone. I'm a local resident of Lucerne  
13 Valley. I'm also a teacher of renewable energy  
14 at the local college in Victorville, Victor  
15 Valley College, and I not only talk the talk  
16 but I walk the walk. I have a 3.3 kilowatt  
17 photovoltaic system on my house and I'm  
18 completely off the grid.

19 One of the things that you probably  
20 know, this is a desert, and the reason this is  
21 a desert is because we have more sun than just  
22 about anybody. But that comes at a cost, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have less clouds. And not only do we have  
2 less clouds but, because of that, we have  
3 less rain and we in fact have a very minimal  
4 rain.

5 So water is a very precious  
6 resource here and I really do want to hammer  
7 the thing home, that water is something we  
8 really have to watch.

9 Now I've looked at the CEQA and  
10 NEPA of the Ivanpah System and they're using  
11 a system where the water's reclaimed, just  
12 like your car where you've got a radiator and  
13 you radiate your heat off of it and you keep  
14 the water. This is in lieu of places like Luz  
15 or Kramer Junction that just take the water,  
16 turn it into steam and then let it blow off.  
17 Now that's where you use a lot of water and we  
18 don't want that. But we do want energy but  
19 we don't want it at the cost of water. But it  
20 can be done and it can be fixed, you know,  
21 such as they've alluded to.

22 The other thing that I want to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 point out is when you have a solar  
2 concentrator tower I'd like to know if there's  
3 any studies done on retinal damage because  
4 when you look at one of those towers it's like  
5 looking at the sun. There's no question about  
6 it. And I think that retinal damage is  
7 something that we're going to have to consider  
8 because of places like well Kramer and  
9 Ivanpah, if you're looking at that and you're  
10 driving along and you see it and you look  
11 back, it blinds you temporarily and it may  
12 blind you somewhat permanently for all I know.  
13 So I'd like you to take a look at that too.  
14 Thank you.

15 MS. HARTMANN: Phil Alcantara?  
16 Sorry if I pronounced that wrong. Is Phil  
17 here? All right. Well Norman Diaz? Are you  
18 Norman? No? Okay. All right. Then Tami  
19 Tripp-Massie. Okay. Here comes Tami. I  
20 thought everyone left already.

21 MS. TRIPP-MASSIE: Good evening.  
22 I'm the executive director for Armagosa

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Conservancy. I'd like to say it is  
2 commendable to see that the agencies recognize  
3 that the large scale solar development can  
4 have a significant impact on the desert  
5 region.

6 Water is a rare commodity here in  
7 the desert, especially groundwater. The  
8 impact would have substantial ecosystems and  
9 habitat effects. We need to do a careful  
10 analysis of the ecological effects of removing  
11 groundwater at each site.

12 The PEIS should capture existing  
13 trends regarding land use, make reasonable  
14 predictions about future use and try to  
15 describe all the links between them. The  
16 large demand for individual site for  
17 alternative energy on public lands cannot be  
18 viewed in isolation.

19 We need to consider the cumulative  
20 effect and avoid and minimize adverse effects  
21 to the vulnerable and imperiled ecosystems and  
22 species in this desert environment.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           The proposed option entitled  
2 "Facilitated Development Alternative" seems to  
3 be a desirable choice to approach these issues  
4 since it is also points out the need to define  
5 a limit on the total acreage of public lands.  
6 The safe availability of water may be an  
7 appropriate limiting factor since water is  
8 rare in the desert.

9           BLM's resources and staffing to  
10 conduct a major alternative energy area  
11 program is currently lacking and in the longer  
12 term monitoring enforcement resources are even  
13 more questionable.

14           The Armagosa Conservancy offers  
15 these comments with the intention of assisting  
16 a study team in understanding the needs of  
17 biodiversity in the desert. We will provide  
18 more comments in writing and we thank you for  
19 listening and have a good evening. Thank you.

20           MS. HARTMANN: Thank you Tami. Is  
21 Robert here?           Robert Canaway?       Mark  
22 McClellan?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. McCLELLAN: Decline.

2 MS. HARTMANN: Decline? Okay.

3 And Brad Mitzelfelt?

4 MR. MITZELFELT: Hello. Can you  
5 hear me? I'm Brad Mitzelfelt, I'm the 1<sup>st</sup>  
6 district supervisor for San Bernardino County.

7 I'm also a member of the Public Lands  
8 Committee of the National Association of  
9 Counties, Chairman of the Quad State Local  
10 Government's Authority but tonight I'm  
11 speaking on behalf of the County of San  
12 Bernardino.

13 First, I want to thank the agencies  
14 for having this PEIS process. I agree  
15 wholeheartedly with the moratorium on new  
16 applications until this process is completed.

17 I have nothing but praise for the local BLM  
18 offices, Barstow and Needles and also the  
19 Desert District Office in Riverside. We've  
20 been working on this, in fact have an MOU,  
21 Memo of Understanding, between our agencies to  
22 work together on processing permit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 applications so the county actually has a role  
2 in your process, and there are other examples  
3 of such cooperation.

4 We actually meet quarterly with the  
5 managers of those three offices and we have a  
6 pretty good working relationship.

7 My main concern here is a loss of  
8 habitat, particularly for the desert tortoise  
9 but also for other species, and this is  
10 something that is since I believe 1991 we've  
11 been working with BLM on the West Mojave plan.  
12 We've watched military base expansions occur  
13 and now more are being proposed and that is  
14 putting a great amount of pressure on the  
15 remaining habitat. Incredible pressure from  
16 urban growth, habitat protection, military  
17 bases like I mentioned, demand for recreation,  
18 especially OHV.

19 This document must look at general  
20 plans, habitat conservation plans not only  
21 that are adopted but that are in the process,  
22 a demand for OHV use, camping, mining and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 other uses for a comprehensive picture of  
2 where solar fits and where it doesn't.

3 We also have a groundwater  
4 management ordinance and I'll direct your  
5 attention to Ordinance No. 3872 of the County  
6 of San Bernardino which protects the health of  
7 aquifers in unadjudicated desert basins. And  
8 by a Memorandum of Understanding with the BLM  
9 dated December 2, 2003, it is applicable on  
10 BLM lands. So I will include that with my  
11 written comments.

12 I also wanted to mention that with  
13 regard to transmission corridors, we are  
14 working on a new corridor from Victorville to  
15 Palm Dale. It is a 50-mile highway but also  
16 the joint powers agreement includes authority  
17 for transmission lines and we are in the  
18 process at the Southern California logistics  
19 airport in Victorville developing a 100 square  
20 miles of warehouse space. That's a lot of  
21 rooftops that could be used for solar and I  
22 think that should be discussed as a possible

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 alternative to some of these applications.

2 Finally, I would like to just  
3 strongly encourage the agencies to use the  
4 mitigation hierarchy developed by the Council  
5 on Environmental Quality, a rigorous  
6 methodology for an analysis of this scale.

7 I'm just going to wrap up now. A  
8 member of the Nature Conservancy I believe  
9 made that suggestion at the meeting in  
10 Riverside last night and I certainly support  
11 that.

12 This is an issue that's uniting a  
13 diverse array of groups. I am committed to if  
14 necessary commit the resources of the County  
15 of San Bernardino and I look forward to  
16 continuing to work on this process with the  
17 agencies and hopefully if there are any  
18 impacts they're mitigatable. Thank you.

19 MS. HARTMANN: Next we have Joe  
20 Rowley.

21 MR. ROWLEY: My name is Joe  
22 Rowley. I'm responsible for project

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 development for Sempra Generation. We've been  
2 known as a company that develops very clean  
3 and efficient natural gas-fired plants. Over  
4 the last ten years we've sited a number of  
5 such plants and what we find to be very  
6 important is that there are places where power  
7 plants belong and there are other places where  
8 power plants really don't belong.

9 We've put power plants in the  
10 middle of oil and gas fields. We've placed  
11 them in urban areas. We've placed them on  
12 fallowed farmland. And for those kinds of  
13 plants we think that those are appropriate  
14 areas.

15 We've recently over the last year  
16 retooled our company and we've taken our focus  
17 away from natural gas-fired plants to  
18 renewable energy projects, both wind and  
19 solar. Now I think though that that same  
20 principle really applies to wind and solar  
21 projects. There are places where projects  
22 belong and places where they don't belong.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           We really applaud you for the work  
2           that you're doing here with the PEIS. In  
3           fact, we've been in our own little way doing  
4           similar work, trying to figure out what really  
5           makes sense in terms of solar development.  
6           And I think that this PEIS will go a long ways  
7           to helping the overall situation and  
8           understanding of what's appropriate for solar  
9           development in the desert.

10           But what concerns us is that there  
11           are roughly 100 applications that really each  
12           one individually, while it would be looked at,  
13           also needs to be looked at from the standpoint  
14           of a cumulative impact perspective and there  
15           needs to be really a relationship between the  
16           analysis of cumulative impacts on those 100  
17           projects and the analysis that's done in the  
18           PEIS. There needs to be a consistency and a  
19           communication there so that the analyses that  
20           are done on those individual projects really  
21           ends up making sense.

22           A hundred projects is a lot. Even

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 if only one out of five of those goes forward,  
2 20 projects, each one of which could be a  
3 square mile or a couple of square miles,  
4 that's a lot of development out in the desert.  
5 I've lived in the desert a good part of my  
6 life, I love the desert. I think that there  
7 are places that really should not be developed  
8 and when you look at the cumulative impact of  
9 all those projects, it may look differently  
10 than when you look at the projects  
11 individually. So I'd really recommend, or our  
12 company would strongly recommend that you  
13 consider the relationship between the PEIS and  
14 those individual projects as they go forward  
15 in parallel. Thank you very much.

16 MS. HARTMANN: That's the end of  
17 the list of speakers. Is there anyone who was  
18 not on the speaker list that would like to  
19 come up and make a statement? I'm surprised.

20 I thought we'd have someone for sure. In  
21 that case is there someone who spoke  
22 previously and would like to continue? I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 thought you might.

2 MR. PANCHEV: More issue, serious  
3 problem, resolved. A new technology for NREL.

4 Ice plant. Not in the middle of the desert.

5 Do you know how many acre feet Sparkletts

6 takes from Lake Arrowhead? Seventeen

7 thousand. Can we just put one of our ice

8 plants in Lake Arrowhead or I'm going to take

9 it to Mexico, Baja. This solve the war. Make

10 ice cube one cubic foot each and then a call

11 bring it here with an ice truck and fill up

12 underground storage tanks. I can run 30

13 plants like that. How do you like that one?

14 No need water from no desert. Thank you.

15 Nobody. We got our own water.

16 Can BLM give us right of way (ROW)

17 up there? I show you the places. National

18 Crest Highway, that's all we want. We are on

19 our private land, we don't want land from you.

20 For all our solar, multifuel, wood storage,

21 not molten salt. We don't want to use torches

22 in December to unfreeze the joints. We use

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ionic liquid.

2           However, the problem is 200 degree  
3 Celsius degradates that's why boiler No. 2 key  
4 from Visala engine brings the rest of the heat  
5 to 500 degree. DOE don't have to worry about  
6 some magic additional fluid. We got it.  
7 Recovered energy from the plume is 540 degrees  
8 Celsius, 300 maximum comes from the solar  
9 fuel, I got boiler No. 2 run steam turbine,  
10 the best. I don't need no water to burn the  
11 steam to hell out of from power towers, etc. I  
12 have 15 minutes more or no more?

13           MS. HARTMANN: You're at 2 minutes  
14 now.

15           MR. PANCHEV: Okay. Two minutes.

16  
17           MS. HARTMANN: Can I ask you  
18 something--

19           MR. PANCHEV: The issue of water I  
20 believe is the result of the new technology.  
21 This is a highly I would call it for security  
22 of the United States of America, it's highly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1       secretive, we cannot disclose to the public  
2       domain. It's like copyright to the maximum  
3       extent and we can be talking with NREL on a  
4       separate issue and different location. That's  
5       one issue.

6               Next thing is to do with  
7       environmental. Yes, we got a lot of tortoise,  
8       all the three major creatures out there, and  
9       that is the reason we scaled down all the land  
10      we bought. The mitigation ratio keep in mind  
11      will be intervenor if the issue gets brought  
12      in as to unfair practices.

13             Example, project specific gets only  
14      one to one. We get like Victorville three to  
15      one ratio. Well we'll be intervenor  
16      obviously. So we need to establish mitigation  
17      ratio for the endangered species. Sub-species,  
18      A, B, C group category, 1, 2, 3 and keep on  
19      going 1.1, 10.1 and then goes down to the  
20      groups but must be uniform, and I do believe  
21      the California Commission is going to work  
22      with us eventually on that issue. They have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sense what is coming in our next AFC. So  
2 that's that issue.

3 Another issue is to do with we can  
4 have all this land, we mapped the whole  
5 desert. We know exactly the checkerboard  
6 where BLM is, where private land is, where the  
7 gas lines are and any other technology. Oh  
8 well, God bless all of them but anyhow we are  
9 going to bring what we are trying to achieve.

10 We know obviously why do you think FPL is  
11 going with 250 meg the same way they did 17  
12 years ago by losing--

13 MS. HARTMANN: I have to suggest  
14 that--

15 MR. PANCHEV: Thank you.

16 MS. HARTMANN: But we would like  
17 you to--

18 MR. PANCHEV: One more time.

19 MS. HARTMANN: Well I was going to  
20 suggest because these are so detailed if you  
21 could submit--

22 MR. PANCHEV: Oh it will be a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 volume. I'm just wishing the public not to  
2 be discouraged. It is coming, the solar, no  
3 matter how. And big time. We have the  
4 technology. We will not tell you how it is  
5 but it's coming.

6 MS. HARTMANN: Well we're going to  
7 give you one last chance. Anyone want to  
8 submit a comment?

9 MR. GREENSHIELDS: I would like to  
10 think all of you shared with the homeowners  
11 for our rural communities because a lot of  
12 these big solar plants are feeding large urban  
13 developments and we have homes, we have  
14 schools, we have small businesses that are  
15 having problems now and we need solar  
16 technology on small scales for them to help  
17 those families.

18 MR. PANCHEV: Thank you. All of  
19 our power blocks are below ground. Thirty six  
20 feet you cannot find another technology.

21 MR. MALONE: I just do want to  
22 add, you were talking about sharing the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 technology with businesses and people. If you  
2 need a CD we have a CD at the Air District  
3 that I work at. We put a 72 kilowatt system  
4 of solar panels on our roof and we'd like to  
5 share that with you and if you wanted to you  
6 could contact us and we'll give you the CD  
7 which includes all of the steps to you know  
8 going out for bid, etc. All the way to the  
9 completion of it. Thank you.

10 MS. HARTMANN: People are turning  
11 up.

12 MR. BELL: Chuck Bell again.  
13 Again, what you're doing is extremely good,  
14 we've been asking for this kind of a process.

15 I think some of us are just concerned that  
16 the renewable energy industry is going to  
17 conceive of this as putting all of the eggs in  
18 BLM's basket. And I think it's important not  
19 to make the siting of solar energy, or wind or  
20 anything else, on BLM public lands so cheap  
21 that you compete with the opportunity to put  
22 it on those private parcels that are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 available, fallowed out or whatever, that  
2 cannot be used for anything else.

3 It's absolutely critical you do not  
4 compete with the private sector and deny  
5 landowners the opportunity to do something  
6 with their property that they otherwise could  
7 not do. Thank you.

8 MS. HARTMANN: Thank you all for  
9 coming tonight. Don't forget to leave  
10 written comments that you have with us.

11 So once again thank you for coming.

12 We really appreciate your comments. We want  
13 to consider ideas and concerns that you have  
14 about solar energy development and also please  
15 visit the web sites that you'll get continuing  
16 information about what's happening with PEIS.

17 Good night.

18 (Whereupon, the Public Scoping  
19 Meeting went off the record at 8:15 p.m.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701