

## **Transcript**

### **Solar Energy Development Programmatic EIS Scoping Meeting held in Tucson AZ, July 8, 2008**

This Acrobat PDF file contains the transcript of the above referenced Solar Energy Development Programmatic EIS public scoping meeting. If you are interested in reading the scoping comments provided by a specific person or organization at this meeting, you may use Acrobat's search tool to locate the commenter's name/organization within the transcript.

UNITED STATES DEPARTMENT OF ENERGY AND  
BUREAU OF LAND MANAGEMENT

+ + + + +

SOLAR ENERGY DEVELOPMENT  
PROGRAMMATIC ENVIRONMENTAL IMPACT STATEMENT  
(PEIS)  
PUBLIC SCOPING MEETING

+ + + + +

Tuesday,  
July 8, 2008

Amethyst Room  
Pima Community College  
Downtown Campus  
1255 N. Stone Avenue  
Tucson, Arizona 85709

The above-entitled meeting commenced, pursuant to notice, at 6:30 p.m.

PARTICIPANTS:

HALIL I. AVCI, Ph.D.  
Argonne National Laboratory

LINDA J. RESSEGUIE  
U.S. Department of the Interior  
Bureau of Land Management

BRIAN BELLEW  
U.S. Department of the Interior  
Bureau of Land Management

DOUG DAHLE  
National Renewable Energy Laboratory

BRAD RING  
U.S. Department of Energy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

AGENDA

<u>TOPIC:</u>	<u>PAGE:</u>
Opening Remarks by Dr. Halil I. Avci	4
Presentations:	
Brian Bellew, BLM	6
Brad Ring, DOE	7
Linda Resseguie, BLM	11
Doug Dahle, National Renewable Energy Laboratory	184
Halil I. Avci, Ph.D.	32
Public Q&A Session	41
Public Comments	54

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

P R O C E E D I N G S

(6:30 P.M.)

MR. AVCI: It's 6:30 p.m. If you will please take your seats we will get started.

OPENING REMARKS

MR. AVCI: Good evening and welcome. On behalf of U.S. Department of Energy and the Bureau of Land Management we thank you for attending this evening's meeting. This is what is called a public scoping meeting for a programmatic environmental impact statement that the Department of Energy and the Bureau of Land Management are preparing.

The programmatic environmental impact statement, PEIS for short, that is the subject of this evening's meeting is on solar energy development in six western states: Arizona, California, Colorado, New Mexico, Nevada and Utah.

My name is Halil Avci. I am with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Argonne National Laboratory. This is the  
2 organization that is supporting DOE and BLM to  
3 prepare this PEIS.

4 At this time I have a few requests.

5 First, if you have not done so already,  
6 please turn off the sound on your cell phones  
7 and pagers.

8 If for any reason you have to leave  
9 the room during the meeting, please use the  
10 back door.

11 As you may have noticed, I have  
12 already used several acronyms: DOE for  
13 Department of Energy, BLM for Bureau of Land  
14 Management, and PEIS for programmatic  
15 environmental impact statement. This being a  
16 federal program, invariably there will be  
17 other acronyms throughout the evening. We  
18 will try to explain what they mean as we go  
19 along. However, if at any time there is one  
20 that you do not understand please raise your  
21 hand and we will do our best to explain it to  
22 you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I also would like everyone to know  
2 that this meeting is being transcribed and an  
3 official document will be prepared for the  
4 record. That means everything that is said  
5 this evening will be recorded and placed into  
6 the official document. The document will be  
7 placed on the project website and will be  
8 available for viewing and downloading for the  
9 public. Our court reporter this evening is  
10 Ray Vetter. He is with Neal R. Gross &  
11 Company, working out of Tucson right here.

12 The main purpose of this evening is  
13 for DOE and BLM to obtain your input on the  
14 scope of the PEIS. However, before we begin  
15 the comment phase of the meeting we have a  
16 series of short presentations to give you some  
17 background information and explain the  
18 proposed activities. After the presentations  
19 there will be a short question and answer  
20 period and then we will begin the comment  
21 phase of the meeting. I am estimating that  
22 the comment phase will begin at approximately

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 7:30 p.m.

2 Now as our first speaker I'd like  
3 to introduce Mr. Brian Bellew. Brian is the  
4 BLM Field Manager for the Tucson Field Office.

5 PRESENTATIONS

6 MR. BELLEW: Good evening. I have  
7 the great opportunity to be here with you this  
8 evening as the Field Manager for the Tucson  
9 Field Office and I'm glad to see the turnout  
10 that we have tonight talking about solar  
11 energy even on a rainy night. So with this I  
12 just wanted to open up this evening's meeting  
13 to talk about our efforts that we have ongoing  
14 with the Department of Energy and the Bureau  
15 of Land Management to look at the initiation  
16 of joint solar energy development through the  
17 programmatic environmental impact statement  
18 that you're here for scoping on this evening.

19 So our agency believes that  
20 preparing a programmatic environmental impact  
21 statement is a critical step in evaluating the  
22 extent to which the public lands with high

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 solar energy potential may be able to help to  
2 meet the nation's ongoing energy needs. So  
3 with that, I welcome your input this evening  
4 and we're very happy to have you.

5 Thank you.

6 MR. AVCI: Thank you, Brian.

7 The next individual I am going to  
8 introduce is Brad Ring. Brad is a project  
9 manager in DOE's Golden Office in the Solar  
10 Energy Technologies Program.

11 MR. RING: I want to thank you also  
12 for coming tonight and participating in this  
13 process. I just want to take a few minutes  
14 and go over DOE's overall goals and the  
15 expectations from this programmatic  
16 environmental impact statement.

17 DOE's goals are to add energy  
18 supply from diverse sources and really making  
19 the most of our renewable sources. If we do  
20 that we will include the quality of the  
21 environment by reducing greenhouse gas  
22 emissions and environmental impacts.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Another key component of this is  
2 national security. We want to secure  
3 sustainable, emission-free domestic energy.

4 The solar program from a DOE  
5 standpoint had a funding last year of  
6 approximately \$170 million. We split it up  
7 into research and development, and market  
8 transformation. The research and development  
9 we broke into two, what we consider two  
10 different technologies: photovoltaics and  
11 concentrating solar power.

12 Photovoltaics received  
13 approximately \$126 million in funding, and  
14 concentrating solar power approximately \$26  
15 million. The market transformation, \$18  
16 million was spent for this programmatic  
17 environmental impact statement and the  
18 majority for the Solar America Initiative for  
19 PV and water heating for activities with the  
20 25 Solar America cities developing codes and  
21 standards and Solar America showcases,  
22 training, and the solar decathlon.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           As I mentioned before, the two  
2 technologies which we'd been solar is  
3 photovoltaics and concentrating solar power.  
4 There's tiers within that and some overlap.  
5 But photovoltaic most people are familiar with  
6 that, that's the direct conversion of the  
7 solar radiation into electrical energy.

8           Concentrating solar power, as it  
9 states, it concentrates the sun's energy onto  
10 a fluid which then drives some sort of a --  
11 through a steam cycle turbine or a direct  
12 motor type of a generation of power.

13           Why is DOE co-leading the  
14 preparation of this programmatic EIS? We want  
15 to focus on utility-scale solar projects.  
16 These projects generate enough power for tens  
17 of thousands of homes, but to do that it  
18 requires intense solar radiation. And the six  
19 states that were mentioned earlier have the  
20 best solar resources in the United States.  
21 These type of projects require fairly large  
22 land masses, approximately 5 acres for each

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 megawatt of energy produced, so that would be  
2 about 2 square miles for a 250 megawatt  
3 facility. And BLM in these six states has 119  
4 million acres of federal land. So it's a very  
5 good fit.

6 What results DOE expects from this  
7 EIS is the identification of land that is  
8 appropriate for solar deployment, both from a  
9 technical standpoint and from an  
10 environmentally sound standpoint,  
11 establishment of policies that would apply to  
12 all solar energy projects supported by DOE,  
13 and the identification of best practices for  
14 deploying these projects.

15 Best practices would include the  
16 identification of important, sensitive or  
17 unique habitats in the vicinity of a proposed  
18 project. And to the extent feasible, design  
19 the projects to minimize these impacts.

20 It would also be besides the  
21 programmatic environmental impact statement  
22 there would be site-specific project

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 environmental analysis ensuring responsible  
2 energy generation.

3 We also expect more accurate  
4 modeling for solar energy development and how  
5 jobs are created from this and the mitigation  
6 to climate change.

7 That's all I have then. Thank you  
8 very much.

9 MR. AVCI: Thank you, Brad.

10 Our next speaker is Linda Resseguie  
11 from the BLM's Washington, D.C. office. Linda  
12 is BLM's project manager for this PEIS.

13 MS. RESSEGUIE: Good evening and  
14 thank you all for coming. It's great to see  
15 such a large turnout in Tucson. Thank you.

16 The Bureau of Land Management is an  
17 agency within the Department of the Interior  
18 that manages 258 million surface acres. Those  
19 acres are shown on the map in front of you in  
20 orange.

21 If you want to go to the next  
22 slide.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           As Brad stated, about 119 million  
2 acres, or 46 percent, of BLM's lands are  
3 located in the 6-state study area, 12.2  
4 million of them right here in Arizona. The  
5 BLM's multiple-use mission is to sustain the  
6 health and productivity of the public lands  
7 for the use and enjoyment of present and  
8 future generations. The Bureau accomplishes  
9 this by managing such activities as outdoor  
10 recreation, livestock grazing, mineral  
11 development and energy production, and by  
12 conserving natural, historical and cultural  
13 resources on the public lands.

14           Solar energy is just one of many  
15 energy resources now being developed or  
16 considered for federal lands. To ensure the  
17 best balance of uses and resource protections  
18 for America's public lands the BLM undertakes  
19 extensive land-use planning through a  
20 collaborative approach with local, state and  
21 tribal governments, the public, and  
22 stakeholders. The result is a set of land use

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 plans that provide the framework to guide  
2 decisions for every action and approved use on  
3 our public lands. Many of BLM's existing land  
4 use plans, however, do not specifically  
5 address solar energy development.

6 Next slide.

7 Why is BLM involved in the  
8 programmatic EIS? Two points:

9 Executive Order 13212 directs  
10 federal agencies to expedite their actions as  
11 necessary to accelerate the completion of  
12 energy-related projects.

13 And also, the Energy Policy Act of  
14 2005 sets a goal for BLM to approve 10,000  
15 megawatts of non-hydropower renewable energy  
16 on the public lands by the year 2015.

17 Now, as I mentioned, BLM must  
18 manage public lands for a variety of resource  
19 uses, including energy production. The  
20 federal energy mix managed by BLM currently  
21 includes coal, oil and gas, helium,  
22 geothermal, wind, biomass and soon utility-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 scale solar energy. BLM has previously  
2 estimated that as much as two-thirds of the  
3 public lands may have high potential for solar  
4 power energy production.

5 Utility-scale solar energy projects  
6 on public lands are authorized by BLM under  
7 the Federal Land Policy and Management Act of  
8 1976. All activities proposed on public  
9 lands, including rights-of-way, must be  
10 consistent with the terms, conditions and  
11 decisions in an approved land use plan.  
12 Before BLM can approve a solar energy  
13 development project, BLM must assess the  
14 direct, indirect and cumulative impact of such  
15 development and must consider other resource  
16 values, sensitive areas, and public concerns,  
17 all completed through the NEPA process.

18 In the Notice of Intent that we  
19 published in the Federal Register on May 29  
20 announcing the start of the programmatic  
21 environmental impact statement, BLM said that  
22 it would temporarily suspend acceptance of new

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 solar energy applications pending completion  
2 of the PEIS. At the same time, we also  
3 announced that we would continue to process  
4 the over 130 applications that we had already  
5 received before May 29. Those applications  
6 are mainly located in Southern California,  
7 Nevada and in Arizona. They also cover more  
8 than one million acres of BLM-managed lands,  
9 and they have a projected capacity to generate  
10 70 billion watts of power, enough to power 20  
11 million American homes.

12 During the scoping period we have  
13 heard from solar industry, elected  
14 representatives and the general public, all  
15 expressing deep concerns about waiting to  
16 accept new applications. In response to the  
17 high level of interest in near-term deployment  
18 of solar energy projects, we reexamined or no  
19 new application policy. A few days ago we  
20 announced that BLM would continue to accept  
21 and process new solar applications along with  
22 the 130 applications previously filed. We did

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this in order to be able to aggressively  
2 address the growing demand for renewable  
3 energy while ensuring appropriate  
4 environmental protections.

5 Those solar energy applications,  
6 both existing and the ones we expect to be  
7 filed soon, will move forward on a parallel  
8 process with the programmatic environmental  
9 impact statement.

10 Next slide.

11 What are BLM's programmatic goals?

12 Under BLM's current solar energy development  
13 policy, applications are processed on a first  
14 come, first served basis, each with its own  
15 site-specific environmental impact statement  
16 and each requiring a specific land use plan  
17 amendment to authorize it. BLM believes that  
18 by looking programmatically at the issues  
19 associated with utility-scale solar energy  
20 development we will be able to create a more  
21 comprehensive, consistent and efficient  
22 program approach by which to address solar

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 energy proposals on public lands.

2 The programmatic EIS will identify  
3 public lands that are best suited to solar  
4 energy development, it will identify  
5 mitigation strategies and best management  
6 practices to guide future solar energy  
7 development, and possibly identify additional  
8 transmission corridors needed to specifically  
9 facilitate solar energy development. We think  
10 that the programmatic EIS will be key in  
11 advancing the understanding about the impacts  
12 of solar energy development and how best to  
13 deal with those impacts, and that the  
14 resulting decisions will better foster and  
15 support the nation's needs for environmentally  
16 sound solar energy development.

17 Because BLM expects to amend land  
18 use plans in the 6-state study area to adopt  
19 the solar energy decisions made as a result of  
20 the programmatic EIS, these meetings are an  
21 important part of the NEPA process but also  
22 BLM's planning process. In our notice of May

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 29 we included proposed planning criteria and  
2 we are asking for your comments on those  
3 criteria during this scoping process.

4 Thank you.

5 MR. AVCI: Thank you, Linda.

6 The next person who is going to  
7 speak is Doug Dahle. Doug is a senior program  
8 manager with the National Renewable Energy  
9 Laboratory, NREL for short. NREL is providing  
10 technical support to the PEIS with respect to  
11 defining the solar energy resources and  
12 technologies.

13 MR. DAHLE: Thank you. It's great  
14 to see you all here tonight. Thank you for  
15 coming. And it's a pleasure to be partnering  
16 with BLM and Argonne, and as I work for DOE,  
17 supporting DOE in this activity.

18 I'm going to talk to you about  
19 three basic issues. I'm going to sort just of  
20 introduce the solar technologies that you see  
21 on these posters. The focus of this  
22 programmatic EIS is on utility-scale power, so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we're not really doing a study on what is  
2 known as dispatchable power such as PV on roof  
3 tops and smaller systems. So the scale is  
4 more on the 10 megawatt and larger.

5 The second thing is geographic  
6 information system based solar energy  
7 resources, I'm just going to introduce that to  
8 you. And that's the key piece that NREL is  
9 contributing to the study in terms of how to  
10 use those solar resources, add layers to it in  
11 terms of sensitive lands to identify the high  
12 potential areas that will be part of the  
13 study.

14 And last I'd like to briefly  
15 mention some federal policies that have a huge  
16 impact on facilitating deployment.

17 Basically Brad had introduced this,  
18 basically the two technologies, photovoltaic  
19 and concentrating solar power. I would say  
20 there is another sort of a category  
21 characterized as dispatchable and non-  
22 dispatchable solar power. Dispatchable

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 technologies starting with right up here in  
2 the corner is the parabolic trough. You saw a  
3 picture of this earlier. This is a picture of  
4 the Kramer Junction 150 megawatt parabolic  
5 trough system. It's a parabola with a tube,  
6 this high temperature fluid gets up to a 400  
7 degree cell. The entire system and the tube  
8 move from east to west concentrating the solar  
9 energy on that tube. It's flashed into steam.

10 Currently the technology is steam,  
11 conventional steam turbine. So it's a solar  
12 thermal blind focused technology.

13 The second one that's like that is  
14 down here. It's called a linear fresnel  
15 reflector. It's a little bit different  
16 technology. It's a flatter mirror. The tube  
17 that you see here is fixed, does not move.  
18 The mirrors move east to west and usually is  
19 heating basically water, generating steam to  
20 run through a conventional ranking cycle  
21 turbine. That's a linear focusing technology  
22 as well.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           The third one that we see as  
2 dispatchable is called the power tower; this  
3 one here. This is the first one was actually  
4 built back in the late '70s, early '80s in  
5 Daggett. If you've ever driven I-40 south of  
6 Barstow you actually can see that from the  
7 freeway. It's basically about a 180-foot  
8 tower. At the top is molten salt, a fluid  
9 that's heated by hundreds of heliostats.  
10 These are like 8 foot by 10 foot square solar  
11 mirrors that actually track, two-axis  
12 tracking, and focus all their energy on this  
13 tower. Again that generates a flash steam and  
14 runs through a steam turbine.

15           So those are the ones that are  
16 dispatchable.

17           The other technologies that are  
18 non-dispatchable are the dish/engine, which is  
19 here. This is actually a parabolic mirror.  
20 It's about 80 mirrors typically. It heats a  
21 spot about 8 inches in diameter, runs a  
22 Sterling engine. Heats hydrogen and it's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 piston type of action, not like your car, but  
2 basically. And then in that entire engine is  
3 generated, it generates electricity. These  
4 are typically 25 kilowatts per unit.

5 The next one is, it's called  
6 concentrating photovoltaics. We'll talk about  
7 that a little bit more. It's basically high  
8 focus on smaller collection of solar cells.

9 And then the last one on  
10 dispatchable is the flat-plate solar  
11 technologies.

12 Talking about the dispatchable  
13 power. Basically parabolic troughs, this  
14 Kramer Junction plant here it's 150 megawatts  
15 which supplies power to Southern California  
16 Edison. We characterize it as commercial by  
17 virtue of the fact that these have been  
18 operating, as identified here on the charts,  
19 that some of them have been operating as early  
20 as 1982. And they're still operating well.  
21 So solar thermal, blind focus solar thermal  
22 generating power. And in this particular

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 case, and it's probably not going to happen in  
2 the future, but they used gas-fired boilers to  
3 address peak power, which is typically 7:00,  
4 7:30 at night, and in the morning in Southern  
5 California Edison's system.

6 The central receiver here that's  
7 shown, this was Solar One in California. The  
8 power tower, this one had a remarkable record  
9 back in the early '90s where the molten salt  
10 was stored as well as used to run a steam  
11 system. And it had a period over about a week  
12 where it was able to generate power for  
13 Southern California Edison 24 hours a day  
14 until the clouds came in after several days.  
15 And the fact that it could actually deliver  
16 that kind of power day and night was rather  
17 remarkable.

18 I'm going to introduce basically  
19 this thing called a capacity factor. And what  
20 that means in the solar technology area is the  
21 fact that 70 percent of the time this thing  
22 was presenting energy out of that 8,760 hours

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in a year. So 70 percent of those hours this  
2 thing was producing energy.

3 This parabolic trough is more in  
4 the 25 to 35 area range.

5 The idea that dispatchable power is  
6 basically trying to meet the utilities' peak  
7 demand. This is just sort of schematically  
8 showing the idea that the solar resource is  
9 not necessarily coincident with the solar peak  
10 of the utility system. The red line  
11 identifies the solar -- the energy supply and  
12 use by customers of an industrial utility.  
13 You can see the solar resource doesn't  
14 necessarily match. It's not always flat.  
15 This is an area where clouds came in so you'd  
16 see the solar power drop.

17 The idea here is using thermal  
18 storage, molten salts primarily at this point.

19 I heard about an interesting technology  
20 tonight for storage. The idea here is you can  
21 take that solar energy, generate it and shift  
22 it past the high solar resource and try to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 match this peak here. That's what  
2 dispatchable provides: huge value we can use  
3 to peak power generation as well as provide  
4 power beyond the sun's resource to provide,  
5 meet the peaks of the industrial and  
6 utilities.

7 Concentrating solar power, the non-  
8 dispatchable central station for distributed  
9 power is shown. We talked about this before  
10 which was the solar dish, sterling engine.  
11 These are basically, this is showing a pre-  
12 commercial system. It was actually worked on  
13 with Sandia, our partner on solar development  
14 and R&D lab in New Mexico. Had six of these  
15 things operated. They really refined the  
16 mirrors, improved the performance of the  
17 sterling engine. And is an example of it's  
18 going to be commercial.

19 Now one of the developers of this  
20 particular technology has power purchase  
21 agreements with Southern California Edison and  
22 San Diego Gas and Electric for delivery in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 2011 and 2012 of over 1,000 megawatts, a  
2 gigawatt of power. So there's basically  
3 thousands of these that will be built in the  
4 Mohave Desert and Imperial Valley.

5 Next one that's in the  
6 concentrating, this is the concentrating PV  
7 here. And I'll talk a little bit more about  
8 this. But basically what that does, at the  
9 peak, the focal point here is actually a small  
10 number of photovoltaic cells, polysilicon  
11 cells. And what this parabolic dish does is  
12 concentrates the sun's energy on this small  
13 set of cells.

14 Let me go to the next slide, that  
15 gets into a little more detail.

16 This one we just talked about.  
17 Each one of these technologies, one is  
18 reflected, the one we just saw, basically  
19 creates the effect of 500 suns of solar energy  
20 on a small area of photovoltaic cells. One of  
21 the big advantages is we're not using this  
22 very expensive polysilicon cell in terms of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the actual quantity of material which is the  
2 most, that is the most costly part of the  
3 photovoltaic system.

4 Then on the refractive, the second  
5 one here, it's basically it's kind of like,  
6 well, we don't see those fluorescent lenses  
7 anymore but the ones that had sort of the  
8 diamond shape or whatever, that was refracting  
9 light. What this is doing is refracting light  
10 into the small number of cells, again creating  
11 this effect of 500 suns.

12 The last one is a fairly new one.  
13 It basically is sort of a combination of this  
14 and the refractive, reflective and an optical  
15 rod. So those are the photovoltaic,  
16 concentrating.

17 Here is the, I want to share with  
18 you the resource that's used for all those  
19 technologies we just talked about except for  
20 the flat plate. This is called direct normal  
21 insulation. It's a component of energy, solar  
22 energy that is actually directly 90 degrees to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 whatever surface it hits. What we're using in  
2 terms of the baseline is 5 kilowatt hours per  
3 meter-squared per day. That's the unit of  
4 solar energy. And one of the things we're  
5 using for this 20-year study, 5 kilowatt hours  
6 per meter-squared per day. All the  
7 applications that you heard about, nobody is  
8 looking at five in terms of developing solar  
9 plants today, it's basically six or higher.  
10 But we think with the advances of the R&D,  
11 things like that, we may be able to find high  
12 potential sites with this level of solar  
13 resource.

14 What you see here is the solar  
15 resource. It's an overlay, you can see it  
16 matches the exact layout that Linda showed you  
17 of the BLM lands. So this is the solar  
18 resource matching the BLM lands. This is the  
19 GIS stuff that we provide. Now you can add  
20 another layer which might be the topography.  
21 Typically the parabolic trough systems are  
22 looking for 1 to maybe 3 percent slope. So

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you eliminate sites that have higher slope  
2 than that for that particular technology.

3 For the pole-mounted stuff such as  
4 the concentrating PV you can go up to 5  
5 percent. So those are -- anyway, and then you  
6 can add sensitive areas and eliminate high  
7 potential areas.

8 This is the flat-plate systems that  
9 you've probably seen. This, delighted that  
10 the U.S. has the now largest photovoltaic  
11 flat-plate system in the world at Nellis Air  
12 Force Base. It's a 14.2 megawatt flat-plate  
13 system. So each one of these are single axis  
14 that track east to west to increase its  
15 performance. And it's been operating for  
16 about 18 months now.

17 Also wanted to just show you, this  
18 is number two if you will in the world, is in  
19 Portugal you can see where the pole-mounted--  
20 it doesn't seem to have too much of an impact  
21 on the actual vegetation right now. But again  
22 11 megawatts. We're looking at the large

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 scale 10 megawatts or larger in terms of  
2 siting areas.

3 And this is the solar resource that  
4 applies for photovoltaics. This is called  
5 global solar resource. What it includes is  
6 the direct normal that we just talked about,  
7 about 80 percent of it is the direct normal,  
8 and the remaining 20 percent is the scattered  
9 light off of clouds, off the atmosphere,  
10 whatever, so it maximizes the use of all solar  
11 energy available.

12 Now I'd like to get into sort of  
13 the policy now, the fact that the federal  
14 policy, the federal investment tax credit has  
15 a huge impact on the deployment of solar  
16 technology. What this is showing here is when  
17 you are trying to identify what a particular  
18 solar plant can produce in terms of dollar,  
19 cents per kilowatt-hour. What's shown in the  
20 blue is basically without federal tax credit  
21 you calculate, you analyze the project and it  
22 maybe comes out at let's say for concentrating

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 solar power maybe 15, 16 cents per kilowatt-  
2 hour based on the technology today.

3 You apply the federal investment  
4 tax credit for solar systems which is 30  
5 percent, that's a tax credit to the developer,  
6 has the effect of reducing that cost,  
7 levelized cost of energy, cents per kilowatt-  
8 hour by about 20 percent.

9 One of the models that we're going  
10 to use in this study is called the ReEDS  
11 Model. It's a, what it is is hundreds of  
12 variables looking at about 350 regional  
13 transmission areas, corridors, things like  
14 that. And what it does is it identifies is  
15 fossil, there's nuclear, whatever all in all  
16 these different regional areas. And what it  
17 tries to predict is what would be in the next  
18 20 years the deployment of solar technology  
19 throughout the six states. And what we're  
20 showing here is without the federal investment  
21 tax policy which expires at the end of this  
22 calendar year we think that potentially 6

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 gigawatts or 6,000 megawatts could be  
2 developed without the solar tax credit.

3 Using the same model, and this was  
4 run hundreds of times, we think with the 8-  
5 year extension which has been proposed three  
6 times now and has been shut down, an 8-year  
7 extension with sort of a declining percentage  
8 of tax credit that we can see the potential  
9 for almost 40 gigawatts of power in solar  
10 technology.

11 That's all I have.

12 MR. AVCI: Thank you, Doug.

13 Now I will give you a brief  
14 overview of the NEPA, National Environmental  
15 Policy Act process. To start off with let me  
16 see a show of hands, how many of you have  
17 actually seen an EIS before.

18 (Show of hands.)

19 MR. AVCI: Practically everybody.

20 Good. I will go over very quickly.

21 Just to remind you that the EIS  
22 that we are planning to write is a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 comprehensive document that provides an  
2 analyses of the environmental and  
3 socioeconomic impacts of the agency's proposed  
4 action as well as the alternatives. And I  
5 will go over what those alternatives are very  
6 shortly. It describes the purpose and need,  
7 identifies the impact and mitigation measures,  
8 gives the short- and long-term impacts as well  
9 as the cumulative impact, not only the impacts  
10 of the proposed action itself but everything  
11 else that is going on in the area. And it  
12 also describes the public concerns.

13 Now, why is this EIS being  
14 prepared? The short answer is NEPA requires  
15 it. NEPA says whenever federal agencies  
16 propose a major federal action with potential  
17 to significantly impact the quality of the  
18 human environment they have to prepare an EIS.

19 Now, the proposed actions could be site-  
20 specific or they could be programmatic.  
21 Programmatic in the sense that they cover  
22 broad agency actions such as the development

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of programs or the setting of national  
2 policies.

3 In this case the agencies, the two  
4 agencies, DOE and BLM determined that their  
5 proposed action falls under the category of  
6 broad programmatic actions. And the document  
7 that is appropriate for that level of proposed  
8 action is what is called the programmatic  
9 environmental impact statement. A  
10 programmatic environmental impact statement,  
11 or PEIS, does not evaluate specific projects.

12 Instead what it does is it considers generic  
13 impacts of actions, in this case of solar  
14 energy technologies, and provides potentially  
15 applicable mitigation measures.

16 Now, what are the proposed actions  
17 and what alternatives will be analyzed in the  
18 PEIS? By law every EIS has to have an action  
19 called a "no action" alternative. Basically  
20 it is the alternative that analyzes what the  
21 impacts would be if the proposed action did  
22 not go forward. It does not mean no action,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it just means the proposed action does not  
2 take place.

3 The proposed action in this case  
4 is, as you can see, developing and  
5 implementing agency-specific programs that  
6 would facilitate environmentally responsible  
7 utility-scale solar energy development in the  
8 six western states. And it includes programs  
9 and policies and mitigation strategies related  
10 to solar energy development. For BLM, as  
11 Linda Resseguie mentioned earlier, it also  
12 involves amending individual land use plans to  
13 adopt the new program.

14 Prior to last week we had a third  
15 alternative called the limited development  
16 alternative. Again as Linda Resseguie  
17 mentioned, this alternative is no longer  
18 relevant to this PEIS.

19 At this time BLM has not decided if  
20 there will be a third alternative and, if so,  
21 what form that alternative will be.

22 Now, I said at the beginning that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this was a public scoping meeting. The way  
2 the NEPA works is that it is quite procedural  
3 in its approach to how the federal agencies  
4 need to consider environmental factors into  
5 their decision. As part of that procedure it  
6 requires that the agencies go out for public  
7 input. Initially the agencies have what's  
8 called internal scoping, they have some  
9 preliminary ideas in terms of their  
10 alternatives and the issues that they will  
11 consider in the EIS. And then the Notice of  
12 Intent is published in the Federal Register;  
13 in this case it happened on May 29 of this  
14 year, which sets of the public scoping phase.

15 It is during this phase that the  
16 agencies obtain input from the public to  
17 crystallize their ideas and finalize their  
18 decisions. It is in this vein that the third  
19 alternative has been revised because a lot of  
20 the comments we have received so far in  
21 previous meetings of this sort and on the  
22 internet indicated that appropriate, that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 third alternative was causing public concern.

2 So it's totally within the realm of NEPA to  
3 alter alternatives and decisions because no  
4 decisions are made until after the scoping  
5 phase is completed, which again in this case  
6 is scheduled to occur on July 15.

7 So during this scoping phase public  
8 are invited to provide comments and input on  
9 the proposed action, on alternatives to be  
10 considered, significant issues to be analyzed,  
11 possible mitigation measures. If they have  
12 any data that they would like to share with  
13 the federal agency they are requested to  
14 provide that information. And the interested  
15 individuals in our organizations and their  
16 specific concerns are noted and considered in  
17 the development of the EIS.

18 Now, the public has the opportunity  
19 to provide input during this scoping phase.  
20 As I said, it runs through July 15. But the  
21 public will also have an opportunity to  
22 comment and provide input after the draft EIS

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is published which is currently scheduled to  
2 occur sometime in spring of next year. And  
3 then also after the final EIS is published  
4 which is scheduled for spring 2010.

5 I have mentioned the project  
6 website several times. The address of the  
7 website, as you can see here, is  
8 solareis.anl.gov. I know a lot of you have  
9 visited the website because quite a few of you  
10 have registered on the internet through the  
11 website. If you have not done so already I  
12 would strongly urge you to visit the website  
13 because it has a wealth of information about  
14 the program. Not only it includes information  
15 about the EIS process but it includes copies  
16 of the view graphs that are being shown today  
17 as well as the posters that you see around the  
18 room and a lot of other information,  
19 technology information and program  
20 information. So it is quite a resource for  
21 everybody.

22 In addition to providing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 information it also allows for people to  
2 receive updates about the program when  
3 something new occurs. For example, when BLM  
4 decided to stop the moratorium on the new  
5 applications an e-mail was sent to everybody  
6 who has registered on the website to inform  
7 them of that situation. So you can get e-mail  
8 notifications.

9 Now, there are basically three ways  
10 to provide scoping comments. One, at this  
11 scoping meeting tonight. You can do it on the  
12 website. When you go to the website there is a  
13 special button where you can follow to provide  
14 your comments. Or via regular mail.

15 The written comments, as I said,  
16 could be through the website or you can fill  
17 out paper comment form that you were all given  
18 when you came into this room today or the form  
19 is also on the website. And you can mail it  
20 to the address shown on the bottom here on  
21 this address.

22 Now, it does not have to be on a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 form. It could be on any piece of paper. Or  
2 if you have any supporting documentation you  
3 can mail all that to this address and it will  
4 be considered fully.

5 Now, our next phase of this meeting  
6 is going to be getting into the oral comment  
7 phase. However, as I said at the beginning,  
8 before we start the formal comment phase we  
9 will have a brief question and answer period.

10 In this question and answer period I would  
11 like to ask that you please limit your  
12 questions to matters related to presentations  
13 made so far, mainly clarification types of  
14 questions. Please hold your comments until  
15 after we get started with the comment phase of  
16 the meeting. You can direct your questions to  
17 anyone at the head table or to nobody at all  
18 and the appropriate person will respond to  
19 your question.

20 The way it will work is if you  
21 raise your hand if you have a question I will  
22 bring the microphone to you and you can ask

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 your question.

2 PUBLIC Q&A SESSION

3 MR. DOWNING: Thank you. I am Ted  
4 Downing, former state representative here in  
5 Arizona. My question is for Linda Resseguie.

6 Could you help us understand the  
7 rationale and what was behind the initial  
8 decision not to accept applications or to  
9 suspend application processing?

10 MS. RESSEGUIE: That is a question  
11 I was expecting.

12 Initially we believed that with 130  
13 applications covering more than a million  
14 acres of public lands, representing 35  
15 different companies and all variations of  
16 current commercial utility-scale solar  
17 projects, that we had plenty of work to do and  
18 plenty of watts of potential electricity  
19 coming online with those existing projects.  
20 We believed that a -- that the individual  
21 site-specific NEPA environmental impact  
22 statements and individual land use plan

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 amendments that were going to be required for  
2 those projects would in some sense become  
3 duplicative and not very efficient. And so  
4 the idea with the programmatic was to develop  
5 an overarching environmental document,  
6 mitigation strategies, best management  
7 practices, siting criteria that could be  
8 applied to all future applications.

9 And we believed that with that in  
10 hand the new applications that we would accept  
11 after the PEIS would be streamlined, that the  
12 environmental work would be streamlined, the  
13 projects would proceed much more quickly  
14 because everyone would be more knowledgeable  
15 about what the impacts were and what the  
16 mitigation measures should be. Anyway, that  
17 was the idea.

18 MR. DOWNING: Did you say you were  
19 understaffed?

20 MS. RESSEGUIE: I did not say that  
21 we were understaffed. But the realty  
22 specialists that process rights-of-way

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 applications for solar energy are our same  
2 realty specialists that process rights-of-way  
3 for transmission lines, gas lines, perform all  
4 other land-related activities. And so to  
5 continue to accumulate additional applications  
6 would have and will strain the system.

7 MR. SCHLICHTMAN: My namer is Don  
8 Schlichtman. My question is with the  
9 scheduled adoption of the final EIS statement  
10 in spring of 2010 does that imply that any  
11 approval for go-forward development of any of  
12 the existing 130 projects or any new  
13 applications cannot in fact be taken until  
14 that time?

15 MS. RESSEGUIE: No. We are going  
16 to run existing and future applications that  
17 are received through our process as quickly as  
18 we can. And we are not going to hold up any  
19 application approvals or right-of-way grants  
20 pending the outcome of the PEIS. So all of  
21 the projects that have now been filed and are  
22 going to be processed will go forward at their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 own pace as BLM and the company, the proponent  
2 work together to do the individual NEPA. But  
3 they are not going to be withheld, right-of-  
4 way approvals will not be withheld pending the  
5 PEIS.

6 MR. PATTERSON: Daniel Patterson  
7 here with Public Employees for Environmental  
8 Responsibility. That's a very important  
9 question. And a follow-up to that:

10 If BLM is in fact going to be  
11 giving out permits for these --

12 MS. RESSEGUIE: Rights-of-way.

13 MR. PATTERSON: Right. Right-of-  
14 way permits for projects coming in, how is the  
15 agency going to be able to do that in a way  
16 that considers proper siting? And is there  
17 concern that handing out permits before in  
18 fact the EIS and the criteria that the EIS is  
19 going to put forward is there concern that  
20 that might in fact in some ways undercut the  
21 entire purpose of the EIS?

22 MS. RESSEGUIE: We do have an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 existing solar energy policy that was put into  
2 place in April of 2007. So we have guidance  
3 for our field offices to follow. And we  
4 continue to refine that guidance.

5 I don't know, I don't think we've  
6 talked about this, but BLM has not approved  
7 any utility-scale solar projects yet. We have  
8 just one project that has entered the where  
9 notice of intent to prepare an environmental  
10 impact statement was issued last fall and we  
11 expect the draft EIS to be issued sometime  
12 this fall. But that is the single project  
13 that has progressed the furthest through the  
14 environmental review process.

15 Now I'm losing the last piece of  
16 your question. Could you repeat it?

17 MR. PATTERSON: It was, just  
18 briefly, given that the EIS is needed to  
19 develop criteria for siting these plants is  
20 there concern within the agency that  
21 continuing to issue permits before the  
22 criteria that the EIS is going to establish

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 does that in some way, there's certainly  
2 concern, does that in some way undercut the  
3 entire purpose of the EIS?

4 MS. RESSEGUIE: I think that the --  
5 let me go ahead and try this, Halil -- I think  
6 that the decisions that come out of the PEIS  
7 will be very important for any future  
8 development. Okay? And I think that we  
9 believe that it's important enough to proceed.

10 Even though we are going to have a large  
11 number of projects that are going forward  
12 without the benefit, they will each have their  
13 own site-specific environmental impact  
14 statement where indirect, direct, cumulative  
15 impacts will be addressed, so they will just  
16 be less efficient. We think that when we get  
17 to the end of the PEIS and adopt the  
18 mitigation measures and best management  
19 practices that come out of that analysis that  
20 we will be more efficient.

21 How much will, you know, how much  
22 will be left, how many projects will be left

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to which that policies, those policies and  
2 procedures can apply I can't tell you. I  
3 can't predict that. But we still think it  
4 will be beneficial. And not all of the  
5 projects that are on the books right now or  
6 all of the projects that will be filed during  
7 the work on the PEIS will be completed before  
8 the PEIS is issued. So some of the existing  
9 applications may ultimately end up having the  
10 same mitigation strategies and measures  
11 applied anyway.

12 MR. SCHWARTZCHILD: Hi, Arthur  
13 Schwartzchild. About the 8 and 40 gigawatt  
14 capacity figure, I think Brian, I think a lot  
15 of people will take that away not  
16 understanding or that cliched confusion about  
17 capacity versus actual energy being generated.

18 And just having glanced at the two different  
19 curves, you're getting 8 gigawatts, much of  
20 which is not getting any tax credit,  
21 investment tax credit. So it would seem it  
22 would be towards the end of the eight years,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the last seven having no investment tax  
2 credit, that much of the growth would occur in  
3 capacity. So it seems in providing those two  
4 numbers, the 32 gigawatt spread it's very  
5 misleading.

6 So if you could just clarify, if  
7 you could just clarify that and say something  
8 about how you see growth occurring and how it  
9 would continue to accelerate after the eight  
10 years maybe in a way that the kind of the  
11 price supports prevent?

12 MR. AVCI: I think that's a comment  
13 that I think could be directed to Doug Dahle.

14 But it's too detailed at this point. Doug,  
15 do you want to address it at this point?

16 MR. DAHLE: The only thing I would  
17 say is the idea is the cost of this technology  
18 is going to come down on a slope. So the idea  
19 is there will be some development for those  
20 technologies. The other incentives you have  
21 to address is the fact that there are a lot of  
22 state incentives. New Mexico has a production

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 tax credit totally separate from the federal.

2 The thinking in terms of our  
3 modeling is the fact that we have a, in the  
4 R&D world we see what the curve is in terms of  
5 the cost of developing let's say concentrating  
6 solar power. Five years ago it was 15, 18  
7 cents. It's now with the tax credit 10, 11,  
8 12. The idea is the 8-year extension is going  
9 to expand those projects where the R&D hasn't  
10 caught up into it, caught up in terms of the  
11 fact that 10 cent, 12 cent per kilowatt hour  
12 may be the conventional systems after the R&D  
13 is completed.

14 Bottom line, we have the slope of  
15 what the cost of solar power is and it's been  
16 dropping for the last 20 years and we're kind  
17 of leveling out. But the bottom line we  
18 believe the R&D and the improvements in the  
19 optical technologies, thermal storage, things  
20 like that will bring it down to where it's  
21 going to be cost competitive with conventional  
22 power. Plus the fact that we're also looking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at what's going on in the fossil world, it's  
2 getting very expensive, so they're probably  
3 going to be without the tax incentives cost  
4 competitive or cost competitive fairly soon.

5 MR. AVCI: Another question?

6 MS. DUNAY: My name is Deb Dunay  
7 and I have a question about the general  
8 planning process itself. And it's  
9 specifically in regard to the involvement of  
10 regional level entities in your process. I  
11 sort of took from this presentation that the  
12 map that you showed us was an assessment of  
13 land that could receive, that would be best  
14 use for solar development. And from that  
15 assessment you basically created a  
16 comprehensive plan for those six states. So  
17 it's a very broad-reaching plan. And then you  
18 are going to take and do almost like little  
19 specific plans or site-level plans you're  
20 talking about.

21 But for each area such as in  
22 California -- I just use that because I know

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that state a little bit better than this one -  
2 - SANDAG, SANBAG, those large regional  
3 agencies that cover several agencies. Were  
4 they ever invited to take a look at it under  
5 the G, at all the various layers of GIS to see  
6 how it fit into their regional plans and  
7 therefore potentially impact other activities  
8 they had going on? Although I don't perceive  
9 this as a major impact. But if it was a true  
10 test, from my standpoint that would have been  
11 part of a process.

12 MS. RESSEGUIE: There are a couple  
13 other initiatives that are going on in the  
14 west right now. One of them is California's  
15 Renewable Energy Transmission Initiative. The  
16 Western Governors' Association also has a  
17 renewable energy zone initiative going on. We  
18 are working closely with both of those efforts  
19 so that we don't duplicate effort.

20 But in California specifically, the  
21 California Energy Commission -- thank you,  
22 always want to say Electric -- the California

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Energy Commission has taken the initiative to  
2 set up an interagency work group for the solar  
3 PEIS. So at the table we have the CEC, the  
4 CPUC, California Fish and Game, a number of  
5 California state agencies and also local  
6 federal representatives. So at least in  
7 California we are doing that. And the state  
8 agencies have stepped up to the plate to help  
9 us accomplish that.

10 MS. DUNAY: (Off-mic comment.)

11 MS. RESSEGUIE: Right. And one of  
12 the things that we are going to do through our  
13 screening process in both the areas shown in  
14 Doug's map with the high solar energy  
15 potential, my maps should show all the BLM  
16 lands. Doug's maps were showing all the BLM  
17 lands with the high solar energy potential.  
18 But we will continue to screen out the  
19 sensitive areas as we work through this and in  
20 addition to -- well, remember that it's just  
21 on BLM-managed lands. So BLM's planning and  
22 BLM's analysis of sensitive areas in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 consultation with state agencies will continue  
2 to filter through those areas that are best  
3 suited for solar energy development in the  
4 programmatic EIS. So that's part of the  
5 process and analysis that we will be going  
6 through.

7 MR. AVCI: Let's have one more and  
8 then we'll be done.

9 MR. ALTER: Hi. Lee Alter with the  
10 Arizona Department of Environmental Quality.  
11 And I guess I will have the honor of having  
12 the last question which I think should have  
13 been the first. And what kind of -- and  
14 forgive me if this is on the website already -  
15 - but what kind of environmental impacts are  
16 we talking about? Can you just quickly  
17 summarize? I mean obviously they cover land  
18 but I can imagine things if you're piloting  
19 small aircraft and being blinded by all these  
20 mirrors. So I'm wondering what is the list of  
21 impacts and if you want to go into some of the  
22 mitigation measures I would be curious about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 those too? Or if you could point me to if  
2 they're on the website I'll take a look later?

3 MS. RESSEGUIE: The notice -- oh.

4 MR. AVCI: Actually there is a list  
5 of impacts in the Notice of Intent. If you  
6 look at the Federal Register Notice on May 29  
7 there is the usual list of impacts, you know,  
8 from land use, noise and ecological impacts  
9 and all the list of them. But that's a good  
10 thing, I think maybe we should save that for  
11 the comment period, the impact that you  
12 mentioned. If there are any impacts that you  
13 would like us to consider please include that  
14 in the comment.

15 Okay, I know it's getting later  
16 than I said. It's 7:35 and we will start with  
17 the comment phase of the meeting.

18 PUBLIC COMMENTS

19 MR. AVCI: Okay, here is how we  
20 will proceed with the comment phase of this  
21 meeting. Some of you registered online before  
22 you came here. Some of you registered at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 door as you came in. Whether you registered  
2 online or at the door you were asked if you  
3 wanted to speak, provide oral comments. I  
4 have the names of individuals who want to  
5 speak tonight. And I will invite you to the  
6 podium here to present your oral comments in  
7 the order in which your registration was  
8 received.

9 After everyone who registered to  
10 speak has had a chance to make his or her oral  
11 presentation I will ask if there is anyone who  
12 had not registered but after hearing the  
13 presentations and other speakers would like to  
14 present comments tonight. So they will be  
15 given a chance and they will come up here and  
16 present their oral comments in the same way  
17 that the registered speakers did.

18 In order to allow equal chance to  
19 everyone that's speaking every speaker is  
20 requested to limit his or her comments to  
21 three minutes total. If you are up here  
22 speaking when you have reached the two-and-a-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 half minute mark I will show this yellow card  
2 to you. I will be sitting over here. That  
3 means you have 30 seconds to wrap up and  
4 finish your presentation.

5 At the three minute mark you will  
6 see the red card. That means your time is up  
7 and you should immediately conclude your  
8 remarks. And as you can see, I am sitting  
9 right next to you and I can stand up as well.

10 Now, we realize that you may need  
11 more time than three minutes. If you are not  
12 able to finish your remarks in three minutes  
13 and you need additional time you will have an  
14 opportunity to add to your previous comments  
15 at the end of the meeting after everybody has  
16 had a chance to speak for three minutes.  
17 There will be no sharing of time or passing of  
18 leftover time to another speaker.

19 Now, is everyone clear on how the  
20 comment phase of this meeting will be  
21 conducted? Okay then, we will begin with the  
22 formal comment phase of the meeting. When you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 come to the podium please get close to the  
2 microphone or hold the microphone in your hand  
3 so that the court reporter can hear your  
4 comments and record them.

5 Now, the order of speaker I said it  
6 would be in the order it was received. But  
7 there is an exception to every rule. In  
8 tonight's setting our first speaker will be  
9 Ron Barber. He is the District Director for  
10 Congresswoman Gabrielle Giffords' office. He  
11 will be followed by Christopher Lovato and  
12 Vivian Harte.

13 So when your time is up if you  
14 could come and sort of be ready to speak that  
15 would speed things up. So with that I will  
16 invite Ron Barber to the podium please.

17 MR. BARBER: Thank you for the  
18 opportunity -- can you hear me? Am I close  
19 enough? -- the opportunity to speak on behalf  
20 of Congresswoman Gifford. She is in  
21 Washington, as you all know, and she asked me  
22 to come and present her statement to this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hearing tonight. And her statement is as  
2 follows:

3 I would like to thank the Bureau of  
4 Land Management and the Department of Energy  
5 Office of Energy Efficiency and Renewable  
6 Energy for convening this and other hearings  
7 in our region. I appreciate this thorough  
8 scoping process for a programmatic  
9 environmental impact statement, PEIS, on  
10 siting solar facilities on BLM-managed lands.

11 This is an important step toward sensitive  
12 deployment of utility-scale solar projects on  
13 public lands.

14 I support the siting of solar  
15 arrays on public land so long as it is done  
16 carefully and with close attention to  
17 environmental impacts and other important  
18 considerations. I commend the BLM and the  
19 Department of Energy for extending the scoping  
20 process and for responding to public requests  
21 by scheduling additional hearings. Thank you  
22 for adding this hearing in Tucson to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 schedule. I am pleased that you recognize the  
2 importance of listening to recommendations and  
3 comments on this issue from members of our  
4 community.

5 I believe that solar power provides  
6 a viable and promising source of energy,  
7 particularly at this time of heightened  
8 concern about national energy policy. Local  
9 officials, businesspeople, environmentalists,  
10 labor leaders, academics and citizens from  
11 diverse economic, social and political  
12 backgrounds all see the potential for a solar  
13 future and they are eager to make it a  
14 reality. They see the many positive  
15 contributions to our country and the world  
16 that could be made by the expanded use of  
17 solar energy.

18 Promoting solar energy has been one  
19 of my highest priorities since I took office a  
20 year-and-a-half ago, and this has been driven  
21 by the belief that solar energy can help us  
22 address three major national issues. Solar

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 energy can help wean our nation off unreliable  
2 and expensive foreign energy. Solar energy  
3 can help us develop a new homegrown industry  
4 with reliable, high-paying jobs. And solar  
5 energy can be a major factor in addressing the  
6 mounting problem of global climate change. In  
7 short, solar energy offers an elegant solution  
8 to these complex challenges.

9 Public land can and should play a  
10 critical role in realizing the promise of  
11 solar energy. The American Southwest is  
12 blessed with millions of acres of sun-drenched  
13 open space, and much of that is federal land.

14 Conducting this programmatic environmental  
15 impact statement process is a critical step  
16 toward developing a clear set of policy  
17 guidelines for the responsible siting of solar  
18 projects. With this in mind, the PEIS should  
19 examine the likely impacts of solar power  
20 projects on wildlife, both plants and animals  
21 and especially threatened and endangered  
22 species, on unique and already threatened

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ecosystems, on cultural resources and  
2 archeological sites, on areas of religious  
3 significance to Native Americans, on water  
4 resources, on local economies, and on  
5 esthetics of the landscape.

6 In examining these areas of impact  
7 the PEIS should explore not only the  
8 environmental impacts of construction,  
9 operation and eventual decommissioning of  
10 power-generating facilities but also of the  
11 associated facilities for energy storage and  
12 transmission. It should consider the  
13 differential impact of the various  
14 technologies that could be employed for each  
15 of these activities. Furthermore, it should  
16 identify the least invasive practices for  
17 preparing land for solar facilities. Land  
18 that is already disturbed or degraded should  
19 be given preference over untouched desert.

20 In addition to identifying the  
21 criteria for identifying, for determining the  
22 best sites for large-scale solar it is also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 imperative to identify the criteria that would  
2 make a site inappropriate. All this  
3 information should be made readily available  
4 to the public at the conclusion of the PEIS  
5 process.

6 I encourage the Bureau of Land  
7 Management and the Department of Energy to  
8 bring other pertinent federal departments and  
9 agencies into this process. They should at  
10 least include the Environmental Protection  
11 Agency, the U.S. Forest Service, and the U.S.  
12 Fish and Wildlife Service as federal land  
13 management agencies responsible for large  
14 tracts of public land.

15 In closing let me call attention to  
16 the unique and balancing act at work in this  
17 particular PEIS. When Congress passed the  
18 National Environmental Policy Act almost 40  
19 years ago it was motivated by the belief that  
20 information about environmental impacts of  
21 projects on federal land was critical to a  
22 credible decision making process. These same

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 concerns remain true today.

2 One thing that makes this  
3 particular project unique is that there are  
4 potential environmental impacts associated  
5 even with a "no action" alternative. I am  
6 referring, of course, to the most serious,  
7 overarching environmental issue of our time,  
8 global climate change. Solar power projects  
9 on public land may represent one of our best  
10 opportunities to develop clean, renewable  
11 energy sources that will reduce our nation's  
12 carbon footprint and mitigate the effects of  
13 climate change. Ideally this mitigating  
14 environmental impact of solar energy would be  
15 addressed directly in the PEIS. Regardless of  
16 whether climate impacts are formally included  
17 or not, I urge the BLM to keep them in mind  
18 and prioritize the efficient and timely  
19 completion of this process. This PEIS is  
20 critical and must not be shortchanged.  
21 However, neither should it be drawn out longer  
22 than necessary. To do so would actually

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 result in greater environmental impacts than  
2 would otherwise occur. It would be  
3 regrettable and ironic for that to result from  
4 a process designed for environmental  
5 protection.

6 I thank you for your consideration  
7 of my recommendations.

8 MR. AVCI: Thank you, Ron.

9 Next we have Christopher Lovato.  
10 When you come to the podium please state your  
11 name and affiliation please.

12 MR. LOVATO: Hello. My name is  
13 Christopher Lovato. I am with a company EPPG,  
14 that's Environmentally Protective Power  
15 Generation. We are largely out of Europe,  
16 however we are doing experimentation here in  
17 Arizona. And one of the things that we are  
18 actually working on is scaleable solar power  
19 which is a great deal smaller than the scales  
20 here. Our estimates suggest that we could  
21 build and 850 megawatt system on little less  
22 than 10 acres of land. However, it would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 involve including a tower some 30 meters high,  
2 so one might not want to enter that garden.  
3 But certainly it's somewhat smaller than some  
4 of the other projects here.

5 We are planning, hopefully, to put  
6 a test tower up by 2010 and then allow people  
7 to see it, play with it. We have one that we  
8 built in Europe already which actually is up  
9 in Sweden. But we thought we might as well  
10 try it in a fairly difficult place rather than  
11 Portugal, which is a lot nicer and sunnier,  
12 and it seems to work fairly well. We don't -  
13 - there are largely no moving parts on the  
14 outside of it. We don't track the sun, we  
15 don't move things, we don't have liquids, we  
16 don't have oil running around tubes. But we  
17 do have a solar concentrator and then that's  
18 attached to what we call our solar thermal  
19 engine and that is then what stores the power  
20 in various ways, including magnetic  
21 levitation, flywheels and other ways.

22 So these things are coming along

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 soon and might want to be considered because  
2 they take up a great deal less space and could  
3 actually be plunked right next to traditional  
4 power stations as opposed to being out in the  
5 wilderness. So that's something maybe worth  
6 considering in the future.

7 So I just thought I would mention  
8 that this is coming down the pike and you will  
9 see us. Right now we are still awaiting our  
10 patent pending status in the United States and  
11 Canada but as soon as that comes through,  
12 which should be shortly, then we will be able  
13 to tell you how it works and why it works and  
14 what it does.

15 So thank you very much.

16 MR. AVCI: Thank you, Mr. Lovato.

17 Next Vivian Harte please.

18 MS. HARTE: Hello. My name is  
19 Vivian Harte and I am the Chair of the Arizona  
20 Solar Energy Association. We are a chapter of  
21 the American Solar Energy Society and our  
22 mission is to educate the public about solar

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 energy and to advocate for solar energy. I  
2 have a Bachelor's Degree in Sociology and a  
3 Master's Degree in Public Administration with  
4 a specialization in energy policy.

5 I look at energy mainly through the  
6 eyes of a sociologist. So I want to tell you  
7 what I see in sociology. The city of Tucson  
8 loses 10 billion, with a B, billion dollars a  
9 year to fossil fuels and that money goes out  
10 of our economy. We have no fossil fuels in  
11 Tucson, Arizona, and it leaves our economy.

12 Solar energy will help our economy  
13 by keeping that money in our economy. It will  
14 also help by training people, of course, for  
15 jobs. And the types of jobs that would be  
16 available for building utility-scale solar  
17 plants are also the types of jobs that can be  
18 transferred to construction and other high-  
19 paying jobs. So it's good for the economy for  
20 the Southwest to have these.

21 Fossil fuels at this time is the  
22 basis of our economy. And as we watch as the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 gas prices go up, as the price of barrels of  
2 oil goes up our economy is slipping. The more  
3 that we can use renewable energy's efficiency  
4 and conservation, that will help make our  
5 economy as a whole, as a country and  
6 ultimately as a world be a stronger, more  
7 stable economy. We spend billions of dollars  
8 on wars that are directly or indirectly  
9 related to oil. We also spend millions of  
10 dollars in our military protecting the lines  
11 that the ships go through in order to bring  
12 the oil to us. That's a large economic loss  
13 to us that could be spent on other things.

14 America's standing in the world  
15 will be improved as we use more renewable  
16 energies. The United States is only one of  
17 two developed countries who has not yet  
18 approved the Kyoto Accords.

19 And last, if the United Nations'  
20 Intergovernmental Panel on Climate Change is  
21 to be believed, we have 42 more years until  
22 2040, no, 2050 in order to decrease our use of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fossil fuels by 90 percent in order to avoid  
2 the worst climate change problems. That is  
3 something that we need to look at. This is a  
4 worldwide problem.

5 Now, I was in, last year I was  
6 taking care of my granddaughter in New York  
7 City and there was the very first tornado in  
8 Brooklyn that they've ever had, that they've  
9 ever known that they've ever had in the last  
10 two, three hundred years. We are having more  
11 tornados, tornados started two months early  
12 this year in the Midwest. We're having the  
13 flooding. We had Katrina. We are having  
14 Category 5 storms that we have not had in the  
15 frequency that we've ever had before. This is  
16 something that's happening.

17 I do want to mention, I gave this  
18 to you, you have this before you, it's a  
19 study, "The Last Straw: Water Use by Power  
20 Plants in the Arid West." It does say that  
21 the concentrating plants use approximately the  
22 same amount of water and they also use natural

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 gas, but with water photovoltaics don't use  
2 any. So I do want to point that out.

3 Thank you very much.

4 MR. AVCI: Thank you, Ms. Harte.

5 Next is Dan Patterson followed by  
6 Bruce Marcotte and Andy McKnight.

7 MR. PATTERSON: Thank you very  
8 much. I am Daniel Patterson. I am an  
9 ecologist and I am the Southwest Director of  
10 Public Employees for Environmental  
11 Responsibility. I formerly worked with BLM in  
12 the Mohave Desert. And I am a solar power  
13 producer. We produce solar power on our  
14 rooftop at our home in south downtown Tucson.

15 So I'm a big supporter of solar  
16 power. But this is critical that BLM develop  
17 some proper siting criteria for what really  
18 are large scale industrial facilities that are  
19 being looked at. Literally BLM has in front  
20 of it right now proposals that would cover  
21 hundreds of square miles of southwestern  
22 desert areas with industrial solar facilities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1       And those have to be carefully considered,  
2       the best place to put those.

3               In some ways many people are  
4       wondering if we're being presented with a  
5       false choice here. And one of the things I  
6       think BLM needs to look at is specifically in  
7       the purpose and needs section of your EIS is  
8       an alternative that would look at how much  
9       power could be produced through a maximum  
10      build-out of rooftop solar. That has to be  
11      considered. In every major southwestern city  
12      we have potential to produce power just like  
13      my family and I do right downtown without  
14      bulldozing desert habitat to be able to do  
15      that. I don't think that's BLM's intention.  
16      I'm not sure about DOE. But that has to be  
17      carefully considered.

18              Water use also has to be very  
19      carefully considered, as was mentioned by the  
20      last speaker, especially the concentrating  
21      solar facilities do use significant amounts of  
22      water and we've got to consider how much water

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would be pumped out, what effect that might  
2 have on springs and riparian areas that are  
3 critical for wildlife.

4 On the alternatives that are there,  
5 right now I would submit I think quite  
6 convincingly that two alternatives is not a  
7 reasonable range of alternatives. BLM has got  
8 to bring in another alternative. The one I  
9 suggest is taking a look at how much solar  
10 power we can produce in existing cities, on  
11 existing rooftops, producing power where it is  
12 used, where it is generated, not losing power  
13 on the grid, not putting power on the very  
14 vulnerable grid. That should be the other  
15 alternative. Simply no action that's required  
16 by law in your proposed full build-out  
17 alternative does not meet the intention of  
18 NEPA. And I'm sure the agencies' really  
19 reasonable range of alternatives is essential.  
20 You've got to develop that.

21 Also these plants really should be  
22 located on existing utility corridors.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Existing utility corridors are all over the  
2 place. They certainly do exist. There is  
3 certainly some concern that DOE in many ways  
4 is trying to designate much of western Arizona  
5 as a utility corridor. We've already got  
6 utility lines and we should use them.

7 In some ways there is at least one  
8 good plan that BLM has that addresses solar  
9 build-out and that's the California Desert  
10 Conservation Area Plan. And its specific  
11 prescriptions for Class L lands and Class M  
12 lands with multiple use classification really  
13 is a good model that should be applied to  
14 other BLM lands in the five other states. But  
15 I would submit that the CDCA plan already  
16 provides a good guidance.

17 And in wrapping up my comments  
18 here, some specific areas that really should  
19 immediately be avoided for large-scale  
20 industrial solar development are units of the  
21 National Landscape Conservation System, places  
22 like Ironwood Forest National Monument, Las

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Cienagas, the San Pedro River for example.  
2 Critical habitat for endangered species also  
3 should just be taken off the table. And also  
4 BLM's areas of critical environmental concern  
5 also should be dropped off.

6 So again a tricky issue. It's a  
7 very difficult issue for the agency. I salute  
8 you for taking on this process. And again at  
9 Public Employees for Environmental  
10 Responsibility we support BLM developing  
11 strong and reasonable environmental siting  
12 criteria for these large industrial solar  
13 facilities. We may submit additional written  
14 comments before the 15th. And if there is  
15 anything else we can do to help, please let us  
16 know.

17 Thank you.

18 MR. AVCI: Thank you, Mr.  
19 Patterson.

20 Next is Bruce Marcotte please.

21 MR. MARCOTTE: Thank you for this  
22 opportunity to speak this evening. I am a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 very strong advocate of solar power and  
2 renewable energy sources. I'm a U.S. Navy  
3 veteran. I served 16 years and the majority  
4 of my time serving was in the Persian Gulf.  
5 I've escorted reflagged Kuwaiti tankers out of  
6 the Gulf into the Gulf of Sidra and out into  
7 safer waters. I put myself in danger, my  
8 fellow shipmates. I know a lot of men and  
9 women in the Marine Corps, several have died  
10 in the Persian Gulf because of our actions  
11 there trying to recover oil that we have  
12 alternatives to.

13 We have an abundance of solar power  
14 in the southwest United States, we should take  
15 advantage of it. And I urge that you don't  
16 focus on the minutiae of looking at the bugs  
17 and the plants but look at the big picture: we  
18 need to get off of oil and onto renewables.

19 Thank you very much for your time.

20 MR. AVCI: Thank you, Mr. McKnight.

21 I'm sorry, that was Mr. Marcotte.

22 Next is Andy McKnight. He's not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 here. Okay, then we'll go on with Donald  
2 Tribble and followed after him will come Eva  
3 Sargent.

4 MR. TRIBBLE: My name is Don  
5 Tribble. I am a 58-year-old American citizen  
6 and I am amazed that we are having to have  
7 this meeting this late in my lifetime. When I  
8 was 13 years old I built a solar oven as a  
9 science project and a Boy Scout project and  
10 baked a pot of or a pan of biscuits using  
11 solar power. And I thoroughly believed at  
12 that time that this country would be far more  
13 advanced in solar energy than we are. And it  
14 just amazes me that we are only spending or  
15 budgeting you \$170 million dollars. We spend  
16 that much on our silly roads here in Arizona,  
17 and you know how good our roads are.

18 (Laughter.)

19 I just I don't mean to make light  
20 of this by any means but I don't understand  
21 why it takes two years to do something that  
22 should be a slam dunk. Sure, we're going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 try to be careful and make sure that it has a  
2 minimal impact. But at the same time it has a  
3 major impact on the lives of our descendants,  
4 the people that are going to inherit Arizona,  
5 the United States and the world. And I'm not  
6 a NIMBY, I'm not a fanatic in any way, but it  
7 just does amaze me that it has taken this long  
8 for this country to come to its senses.

9 Of course, I know part of the  
10 problem is big business, big money wants to  
11 keep this down because this is free. All  
12 we've got to do is develop it. The source it  
13 out there. Thank God it's out there or we  
14 wouldn't be here. So let's use it.

15 Thank you very much.

16 MR. AVCI: Thank you, Mr. Tribble.

17 Now we have Eva Sargent.

18 MS. SARGENT: That didn't work too  
19 well, now did it? I'm Eva Sargent from  
20 Defenders of Wildlife, the Tucson Office. And  
21 I want to start with a question and I think  
22 it's a question for Linda Resseguie that I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 didn't have a chance to ask before. And that  
2 is that, and I will give you part of my time  
3 for this, don't worry, that you talked about  
4 how we are going to take the big map and find  
5 out where the potential is and then we're  
6 going to exclude sensitive lands. So I just  
7 wanted to ask you for a quick list of what you  
8 think would be excluded?

9 MS. RESSEGUIE: Irregular process  
10 here. I look to my moderator. Go with it?

11 MR. AVCI: Go with it.

12 MS. RESSEGUIE: Okay. The way we  
13 were characterizing sensitive lands when we  
14 started thinking about this was similar to  
15 what an earlier speaker addressed, lands  
16 within the National Landscape Conservation  
17 system such as wilderness areas, wild and  
18 scenic rivers, historic trails, those sorts,  
19 but also lands that had been designated in  
20 existing land use plans as being unsuitable  
21 for large-scale surface disturbance which is  
22 what is going to happen. It's just the way

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that the utility-scale solar energy projects  
2 are going to have to be built.

3 And we were thinking of particular  
4 ACECs, areas of critical environmental  
5 concern, and other special management units  
6 because some of our land use plans have  
7 different terminology as far as habitat  
8 conservation areas, habitat management plans.

9 There's a whole range of diverse descriptions  
10 out there for these special management areas.

11 And in the Notice of Intent those were the  
12 areas that we talked about as being unsuitable  
13 in our mind for utility-scale solar energy  
14 development.

15 But I encourage you and any other  
16 members of the public to give us your comments  
17 on that because we have had comments from  
18 other speakers suggesting that we were trying  
19 to take too much off the table.

20 MS. SARGENT: Great. I would,  
21 well, I'll start by saying that Defenders of  
22 Wildlife supports the development of solar and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we support the effort of the BLM and DOE to  
2 get this PEIS done, to come up with reasonable  
3 criteria, reasonable limits and reasonable  
4 ways to mitigate.

5 As far as these sensitive lands or  
6 exclusions, I would encourage you to not take  
7 things off the table and, if anything, to add  
8 things because you are never going to be able  
9 to go backward, particularly on these large-  
10 scale projects. Once you blade off hundreds  
11 of acres it's going to be really hard to go  
12 backwards. You can always move the other way.

13 You know, my personal belief is  
14 that, like the gentleman from the European  
15 company talked about, we're going to find ways  
16 to do this smaller. And I think you can be as  
17 little permissive as you can in the beginning  
18 when you write your criteria, knowing that  
19 things will probably get smaller, things will  
20 probably get easier. It's also Congresswoman  
21 Gifford brought up the idea of sacrifice  
22 lands, and I think you ought to take a real

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 serious look at this and figure out what's a  
2 way that we can use these sacrifice lands and  
3 get as much power generation out of them as  
4 possible instead of using lands that might be  
5 more important for habitat.

6 Finally, -- oh, finally it's red --  
7 one last thing, we also, another reason not to  
8 go too far into sensitive lands is that we may  
9 actually decide that decentralized is better.

10 And I think we need to allow for that  
11 possibility while still doing a good job of  
12 getting these things built. So thanks.

13 MR. AVCI: Thank you, Ms. Sargent.

14 Next we have Sean Sullivan followed by Jerry  
15 Estruth and after Jerry we'll have Tim Penny  
16 please.

17 MR. SULLIVAN: Thank you very much.

18 My name is Sean Sullivan and I am  
19 representing the Sierra Club.

20 First off I'd like to say that  
21 obviously we are in support of developing  
22 clean energy. I don't think I need to go into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the reasons as to why we need to get off the  
2 fossil fuels. And we support and commend BLM  
3 and DOE for taking the responsibility to be a  
4 part of establishing more clean energy  
5 development.

6 We would, however, like to state  
7 that sacrificing precious resources in order  
8 to develop these new clean energy is not  
9 acceptable. There are certain areas that  
10 should be excluded from siting, areas such as  
11 national monuments, citizens proposed  
12 wilderness areas already proposed for  
13 protection and pending legislation, wildlife  
14 mitigation corridors, critical habitat, etc.  
15 We need to make sure that biologically  
16 sensitive lands are protected. And we need to  
17 make sure that the data layers that are being  
18 utilized, and this is part of my question that  
19 I was going to have but turned into a comment,  
20 you should make all GIS layers excluding site-  
21 specific cultural resources and things of that  
22 nature that are sensitive immediately

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 available to the public in raw data so we can  
2 see what your criteria is and see if there is  
3 any way we can help.

4 We suggest that development of  
5 solar energy utility-scale developments happen  
6 on only compatible area, environmentally  
7 impaired areas such as transportation  
8 corridors, producing oil and gas fields, these  
9 areas should be considered first.

10 We'd also suggest that best  
11 management practices be adopted, things such  
12 as minimizing disturbance and harassment of  
13 wildlife, using existing roads when available.

14 And development should be phased in order to  
15 allow time to observe impacts. And this goes  
16 into I would like to get on the record and say  
17 that we do not support the BLM going back on  
18 its commitment to hold off on any new  
19 applications. We need to make sure that the  
20 policies that will come out of this EIS guide  
21 this process. You gave, BLM staff gave many  
22 good and valid reasons why that policy was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 initially taken. And pressure from industry  
2 in our view is not a good case for reversing  
3 that policy.

4 I'd also like to state that you  
5 should bring in other planning efforts. You  
6 stated you were going to work with the Western  
7 Governors' Association. But also there are  
8 some instances where BLM land has been  
9 identified by local governments as  
10 environmentally important. Here in Pima  
11 County we have the Sonoran Desert Conservation  
12 Plan and there is BLM land that is in or near  
13 areas identified as critical landscape  
14 linkages. And so it's important to make sure  
15 that local communities' conservation plans are  
16 respected in this endeavor also.

17 Thank you very much.

18 MR. AVCI: Thank you, Mr. Sullivan.

19 Is Jerry Estruth here? Jerry?

20 Looks like he has left.

21 Jim Penny? Noel Mayotte? I'm not  
22 sure if I'm -- Mayotte, M-A-Y-O-T-T-E? Looks

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 like they have left as well.

2 This concludes the list of speakers  
3 who had registered to speak. At this time I  
4 would like to ask if there is anyone who would  
5 like to come forward and provide oral  
6 comments? I see one hand there, another here,  
7 and three. So let's start with you, sir.

8 Since we don't have a record of you  
9 would you please clearly state your name and  
10 your affiliation for the court reporter.

11 MR. STEVENS: Hi, thank you. My  
12 name is Jake Stevens. I work for a company  
13 called U.S. Solar. I've been involved in the  
14 solar industry on a daily basis for the past  
15 couple of years both working with PV and  
16 currently focused on CSP solutions. I can  
17 recognize the value of both so as I look at  
18 these situations I realize that they both have  
19 their value in place.

20 First I would like to commend the  
21 BLM on its taking the time to step back and  
22 try to develop a process for this. Even

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1       though as a member of the solar industry I  
2       know it's somewhat frustrating to have the  
3       door closed as it was at one point, I do  
4       recognize the value of that. We are very  
5       pleased to see, despite the fact that we are  
6       not planning heavily to use BLM lands, if at  
7       all, for our projects, we were glad to see  
8       that that moratorium was repealed. Speaking  
9       in terms as a citizen I think the key issue  
10      there is really advance notice. And having  
11      been given six to nine months those people who  
12      had resources in play could plan in advance  
13      for that. It seems like it would have been a  
14      better policy and something that I personally  
15      would still support with some notice to again  
16      allow to step back and develop a process as  
17      you will be continuing to do.

18                   One comment about that process. I  
19      do believe part of the goal I think for  
20      everyone is bringing down the cost of solar.  
21      One thing that is an invisible cost is the  
22      cost of waiting for permanence in processes to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 occur. And I would strongly advocate as  
2 streamlined as possible of a process. And I'm  
3 sure with good considerations and definitions  
4 of what will occur in the PEIS that that's  
5 possible. It certainly will reduce the, you  
6 know, on the order of millions of dollars for  
7 projects in potential costs involved.

8 I do also support consideration of  
9 preferring disturbed lands over undisturbed  
10 lands. I would also like to make some  
11 comments that I believe that for most of our  
12 energy use the impacts and the land impacts of  
13 those to us as citizens are invisible. We  
14 don't see the coal top mountaintop removal  
15 mining that happens in West Virginia. We  
16 don't, you know, those aren't part of our  
17 daily life. And while, you know, 300 or 1,000  
18 acres for a solar field is directly visible,  
19 that is the cost of the land forever and it's  
20 not an extractive resource that will continue  
21 the devastation of land on and on. And I  
22 believe that should be taken into account when

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 considering and weighing out the use of land  
2 and what we choose to permit as we're making  
3 long-term decisions about our land resources.

4           Finally, if I have the yellow card,  
5 I would also like to suggest that the BLM  
6 develop processes. One big concern I think is  
7 going to be animal migration paths for  
8 projects. And I think that there are designs,  
9 facility designs that can accommodate that  
10 such as creating gaps in facilities and so  
11 forth to permit the passage of animals through  
12 the projects. And I would recommend that  
13 there be processes by which the BLM can point  
14 to those as potential solutions to alleviate  
15 environmental issues when projects are being  
16 considered.

17           Finally, a lot is being said about  
18 rooftops as a potential alternative to CSP and  
19 the land impact and so forth. I think that as  
20 I learn more about the energy infrastructure  
21 requirements not only is a diversity of  
22 solutions required by the reality is is that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 even at full-scale deployment for the next 10  
2 or 20 years that the ability of PV to make a  
3 dent in the overall picture is fairly limited,  
4 particularly without significant investment in  
5 storage technologies which we are still pretty  
6 early on.

7 So with all that said, thank you  
8 very much, appreciate it.

9 MR. AVCI: Thank you.

10 MR. HESS: Good evening. My name  
11 is Russ Hess. I originally came out of the  
12 Pittsburgh-Cleveland area. And I made some  
13 unusual observations this evening driving down  
14 here. If you take this area here, this room  
15 is what, about 2,500 square feet. Now, Mother  
16 Nature poured down upon us today these 2,500  
17 square feet a lot of energy and we wasted all  
18 of it, we reflected it back up. Before you  
19 start to take your precious land, why don't we  
20 utilize the land we've already screwed up?

21 Why not put these solar collectors  
22 or whatever you are going to have on every

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 roof in Pima County, then if we don't generate  
2 enough juice then we might invade your lands.

3 But until we utilize the areas that we've  
4 screwed up industrially and otherwise. I  
5 participated in some of the copper mine  
6 closings. Well, we've got lots of area out  
7 there we could put reflectors. So before we  
8 start to screw up any more land why don't we  
9 do a better job of utilizing the land that  
10 we've already screwed up?

11 And what I mean by that is every  
12 rooftop. If you are going to use juice then  
13 you've got to put up a reflector and capture  
14 some of it yourself.

15 Thank you and good night.

16 MS. DUNAY: I'm Deb Dunay. I spoke  
17 earlier in regards to regional governments.  
18 And here ours is PAG. Many people have  
19 mentioned tonight sensitive areas, management  
20 plans. My major concern with all these  
21 various entities, there has to be some form of  
22 local entity that is the umbrella organization

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to keep everybody on the same page. And I  
2 don't think I adequately expressed that  
3 earlier and that's why I stood up again.

4 So my goal is just to let everybody  
5 know that I'm with you, I think this is a  
6 great idea. But I do think we do have to have  
7 some sort of sense of order. You know, if  
8 your regional area government isn't the way  
9 you want to go there needs to be some umbrella  
10 organization in each area. And I think that  
11 the government should be a little bit more  
12 proactive. It sounds like Californians, you  
13 know, they always sort of jump up there anyway  
14 and say, Wait a minute, what are you doing in  
15 our backyard? But I think you should be  
16 proactive and identify the regional area  
17 governments in those six states and basically  
18 make it known to them that they could help  
19 facilitate this process simultaneously because  
20 your schedule would not allow a separate  
21 process, review process for them to do this.  
22 But they could be working on it simultaneously

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 during this EIR process to be putting together  
2 their own criteria based on their own  
3 management plans that they have sensitive  
4 areas and doing their own assessments and  
5 identification processes so that when this  
6 does go through they are on the ground and  
7 they're running, there's no lag time.

8 So it's just from my standpoint a  
9 little bit of a coordination issue. So that's  
10 basically it. And I wish you well in the  
11 process. We need this.

12 Thank you.

13 MR. AVCI: Thank you. Is there  
14 anybody else?

15 MR. MAGRUDER: Good evening. My  
16 name is Marsh Magruder, I'm from Santa Cruz  
17 County. I'm a member of Energy Commission.  
18 I'm speaking as an individual today. I have  
19 five points I would like to talk about.

20 The first is we are looking at  
21 whole bunch of solar plants over here. They  
22 don't work without being able to deliver their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 product to customers. They should never be  
2 considered as an individual plant. They need  
3 to be considered with the wires to deliver  
4 them to their customers. That is important.  
5 Transmission is not a separate issue,  
6 transmission is inherent and is built in  
7 through generation.

8 We had 15 years ago in Arizona some  
9 15 power plants that didn't have wires to  
10 connect them to the grid. About the dumbest  
11 thing that ever happened. And that's the same  
12 thing I see here. Get the transmission with  
13 them. As a matter of fact, you should  
14 prohibit anyone submitting a power plant  
15 suggestion without telling you in explicit  
16 terms the ways and routes and right-of-ways  
17 required to deliver that product to the  
18 customer.

19 Second point. We have this item  
20 Energy Policy Act of 2005, section 221  
21 discussions we're having tonight. I've also  
22 been to meetings with section 368. 368 are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 utility corridors on federal lands in the  
2 western United States. Why do we have two  
3 separate sets of processes? Why aren't they  
4 integrated? Why aren't they put together? I  
5 don't have the answer but I find it sort of  
6 conflicting and there should be no conflicts  
7 between 368 and 221 utility corridors.  
8 Hopefully you are agreeing between the two.

9 New subject. States and local  
10 people have to participate in these types of  
11 projects in the environmental impact  
12 assessments and environmental impact  
13 statement. They should not be done just by  
14 the Federal Government. We have in the state  
15 of Arizona the Arizona Power Plant and  
16 Transmission Line Siting Committee. Both of  
17 them are in the same committee. That's  
18 important, same committee, because you need to  
19 do both at the same time. And unfortunately  
20 if they are not cooperating with your NEPA  
21 process as they did in a transmission line in  
22 my county, we have the Department of Energy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 going this way and we have the state going  
2 this way, and we have a Mexican standoff.

3 So it's important that the Game and  
4 Fish people, that the Department of Commerce,  
5 Energy Department, that the Arizona Department  
6 of Environmental Quality, that the Arizona  
7 Department of Water Resources be a full,  
8 cooperative member in your deliberations.

9 Next subject is reporting  
10 information. Greenhouse gases are critical,  
11 there's six of them. Avoidance of greenhouse  
12 gases should be part of the criteria in  
13 selecting alternatives. And they have to be  
14 specific and they have to be long term,  
15 cumulative direct and indirect impacts. But  
16 along with the reporting you need to also  
17 report water. Water in our state and in  
18 particular in this county is absolutely  
19 critical. Dry cooling is the only acceptable  
20 solution in certain parts of this country.  
21 Wet cooling will not work.

22 The last point, which is very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 short, and that is consider cost -- excuse me,  
2 consider the cost of renting that land to  
3 somebody else such as the power plant. they  
4 should pay what they would pay to rent the  
5 same land from a private entity because our  
6 land is our land and we should at least charge  
7 a reasonable amount.

8 Thank you very much.

9 MR. DOWNING: Yes. I'm Ted  
10 Downing. A lot of you know me from being your  
11 state representative for a little while. And  
12 I'm glad to be here tonight. I have a  
13 background in power in an interesting way, I  
14 have 30 years of working for the World Bank  
15 and other Development Banks on power  
16 development around the world, and it's  
17 something to be in a country like Uganda where  
18 only 5 percent of the population has  
19 electricity, which is where I just came from,  
20 so you understand.

21 Very quickly some major points if I  
22 can. And that was referring to the 15

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 terrawatts of demand that's right now being  
2 used in the world. And solar within that  
3 perspective I think we all know is very small  
4 and for the foreseeable future will,  
5 unfortunately, remain small. Key points:

6 First is GIS transparency. I want  
7 to underline that point made earlier. I think  
8 all the criteria should come up as quickly as  
9 possible.

10 Number two, best management  
11 practices. I would extend that to say that I  
12 would hope to come out of the process would be  
13 some contractually-mandated agreements that if  
14 you want to develop power on BLM land these  
15 are the criteria, these are the conditions you  
16 come under. And that's part of it.

17 Number three, speed is important,  
18 there's an opportunity cost that's going along  
19 with delay, and I support that.

20 And number four, I think that as  
21 you do your modeling and assumptions we have  
22 to look to the fact that the oil industry is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 receiving an estimated \$250 billion in  
2 preferential treatment per year. And that's,  
3 if you want to know that's out of "The  
4 Economist" this recent issue. So with that  
5 kind of a preferential treatment I think that  
6 we can anticipate that a new administration  
7 which may come in will have a different idea  
8 about preferential treatment in terms of  
9 solar. So loosen up, relax, you know, chill  
10 out as somebody said, as you perform those  
11 assumptions.

12 Finally, I want to thank you for  
13 coming tonight. I want you to know that this  
14 is the state there's a new, there was a  
15 mandate earlier nationally in education which  
16 I'm not going to repeat it's name, but this is  
17 a state where we feel that no proton should be  
18 left behind.

19 Thank you.

20 MR. RICHARDS: Good evening, my  
21 name is Robbie Richards. I the owner of a  
22 company called Copernicus Energy. I am

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 actively developing renewable energy power  
2 plants in several western states. I had three  
3 comments I'd like to make tonight.

4           The first is I would like to most  
5 humbly ask and suggest that you as leaders of  
6 the BLM and DOE and NREL and Argonne as  
7 leaders I would like to suggest that you take  
8 back to your office the mandate that 100  
9 percent of the energy that you are using in  
10 your offices comes from renewable technology.

11 I'm assuming that we taxpayers give you a  
12 reasonably comfortable office to work in with  
13 some heating and some cooling and some lights.

14 And I think it is prudent that our tax  
15 dollars go to support the very thing that we  
16 are here to talk about, and that is to support  
17 renewable energy.

18           The biggest problem I see in my  
19 personal opinion is not the technology.  
20 There's people from Europe, there's people  
21 like myself, there's all kind of technology  
22 out there. The problem for somebody like me

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is getting the power to the end users. I have  
2 a very difficult time working with utilities  
3 trying to get my power that I produce to the  
4 end consumer.

5 As many of you might now know, we  
6 passed the Public Utility Regulatory Policy  
7 Act in 1978, 30 years ago, that says if we  
8 build this power plant the utility must allow  
9 us to connect into their grid and they must  
10 buy our power. However, many of you might not  
11 know if we build many of these types of  
12 technologies, these installations in some  
13 states, they don't have to buy our power. And  
14 most recently and just a few years ago the  
15 PURPA has been watered down in some states  
16 that requires co-generation and thermal  
17 capacity calculations that says I have to  
18 utilize for my own processes 50 percent or  
19 more of the heat that I produce in these power  
20 plants. And the laws are being bantered about  
21 that are very, very important to this.

22 So one part of the issue is what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we're talking about is where do we put them?  
2 As Marshall said, really the most critical  
3 issue is how do we get this power to the  
4 people that need it?

5           And I also challenge the  
6 individuals here that there are many, many  
7 people like me and this gentleman from Europe  
8 and many, many other people, and I'm an  
9 unabashed eco-capitalist. I believe in our  
10 democratic free enterprise system. And I will  
11 build you as many power plants as you want  
12 using renewable energy, but the difficulty is  
13 getting the support. And I need support from  
14 you folks to demand your utilities buy my  
15 renewable power. I need you to write letters  
16 to your political leaders and demand that they  
17 do not water down the PURPA legislation and  
18 the various legal mechanisms that were passed  
19 decades ago when I was a little boy in the  
20 last energy crisis. We tried to address this  
21 30 years ago and here we are 30 years later  
22 and we're still just barely getting started to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 address this problem.

2           So I challenge each of you not only  
3 in coming to these meetings, that's important,  
4 but also we need your help, the people that  
5 are developing these projects needs as much  
6 help as we can get. And I would like to ask  
7 you to please write letters, write to the  
8 paper, write to the utility, anybody you can  
9 think of to demand renewable energy. This is  
10 what you demand, not what you want.

11           Thank you very much.

12           MR. LANDIS: Hi. My name is Josh  
13 Landis. I am a contributor to eworld.com. I  
14 also would say I manage an industrial index in  
15 global new energy so I have some affiliation  
16 with or connection to some of the companies  
17 making permit applications.

18           Really I just wrote down a bunch of  
19 ad hoc points. I will try to deliver them  
20 succinctly.

21           We haven't heard too much about the  
22 income that you might expect from leasing some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of this land. I think that was a good point  
2 that was made by Marshall to get some decent  
3 money for it.

4 There were some good points made  
5 about the jobs that would ensue from some of  
6 these projects. I think that's also very  
7 important to keep in mind.?

8 I have a question. In some of the  
9 news reports somebody said something about a  
10 concern about returning some of this land back  
11 to its pristine state in 20 or 30 years. I  
12 assume we all understand that these projects  
13 are going to be around a lot longer than that.

14 If you need more money from us  
15 should we pressure our congressional  
16 representatives to increase your budget or  
17 something like that? If some of the hold-up  
18 is simply that then say so. If that would be  
19 an efficient use of our taxpayer funds I would  
20 love to support it.

21 It was a good point made about the  
22 cost of waiting. I think that's -- I think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for those of us imbued with a sense of extreme  
2 urgency about building out solar energy,  
3 whether on our rooftops or on large 10-  
4 megawatt-plus utility-size projects it's a  
5 little frustrating to even contemplate waiting  
6 a couple of years for a permit.

7 And I guess that's it. thank you.

8 MR. AVCI: Thank you. Is there  
9 anybody else who has not spoken so far but  
10 would like to speak now? Yes.

11 MS. WARREN: My name is Barbara  
12 Warren. I'm a local citizen and a member of  
13 some of the organizations that are represented  
14 here, Sierra Club, the American Solar Energy  
15 Society. I just wanted to reiterate and  
16 magnify the comments made about water in this  
17 area. This is another very precious resource  
18 that needs to be addressed that's rapidly  
19 disappearing and it's very critical that we  
20 consider and weigh the use of water for each  
21 of the technologies and make that information  
22 available. There's a question I wanted to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ask. A comparative analysis of how much water  
2 is required for use and transportation of  
3 water in developing these particularly  
4 concentrating solar power projects? This is  
5 very critical and must be weighed in and  
6 considered in terms of what's allowed to be  
7 produced on federal land.

8 Thank you.

9 MR. AVCI: Anybody else who has not  
10 spoken so far?

11 (No response.)

12 MR. AVCI: Okay. I see that some  
13 of you who have spoken would like to add to  
14 your comments. And I will start with Ms.  
15 Harte I believe. So please. Again state your  
16 name and affiliation.

17 MS. HARTE: Vivian Harte, Chair of  
18 the Arizona Solar Energy Association.

19 Last time I talked about the  
20 socioeconomic impacts. And I just wanted to  
21 mention a little bit about the impacts on  
22 wildlife and vegetation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   In Arizona -- well, this  
2 information by the way I got from Dan Lonetti  
3 who is with the Arizona Public Service, which  
4 is APS, in Phoenix. He's one of our board  
5 members. Evidently with the Saguaro solar  
6 plant which is in Red Rock which is northeast  
7 of here. You go up towards Phoenix. It's a  
8 concentrating solar power plant. And they've  
9 scraped all the plants out. And they have to  
10 do that because, number one, there is a lot of  
11 heat involved and, number two, there is a lot  
12 of maintenance, much more maintenance than  
13 with PVs.

14                   With PVs what happens is in  
15 Springerville, Arizona, which is in the  
16 northeast part of the state we have a large PV  
17 plant there, the grasses are growing better  
18 and the animals are flourishing there. So it  
19 is actually a positive impact because of the  
20 shade that's there.

21                   One other little story I heard was  
22 that the cows were coming over and scratching

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 themselves on the photovoltaic cells so they  
2 had to put a fence around them to protect  
3 them.

4 I wanted to mention, my husband and  
5 I live in two different homes so for you to  
6 understand this he has photovoltaics on his  
7 roof. And his photovoltaics are 35 to 40  
8 years old. He's an electrical engineer. And  
9 they are running fine. They have degraded  
10 over the years but they are running fine.  
11 They run basically almost his whole home. And  
12 he doesn't know when they will ever stop  
13 working.

14 One other thing, and that is the  
15 question about airplanes going overhead. I  
16 understand that what happens is that the  
17 pilots see it's like a lake, like a body of  
18 water when they see concentrating solar. So  
19 because the sunlight is not going straight up  
20 it doesn't hurt their eyes.

21 Thank you.

22 Mr. PATTERSON: Thank you very much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and appreciate everyone sticking around. I  
2 only have two other brief comments that I  
3 wanted to add. I ran out of time earlier. I  
4 am Daniel Patterson, ecologist and Southwest  
5 Director of Public Employees for Environmental  
6 Responsibility.

7           Specifically in developing what I  
8 think should be the additional alternative  
9 that I think will be required to meet the  
10 reasonable range of alternatives mandate set  
11 out by NEPA there should be an analysis to  
12 look at available private lands for this type  
13 of development, specifically old retired ag  
14 lands that could be more suitable for this  
15 type of development. One of the reasons I  
16 think Arizona Public Service which has been  
17 getting quite a bit of good press lately for  
18 their idea of building a large facility out by  
19 Gila Bend, I think one of the reasons they're  
20 getting such broad support is they have  
21 actually purchased private lands and old ag.  
22 and looking at putting that in, which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 basically eliminates the habitat loss concern.

2 So take a look at what's available there for  
3 private lands.

4 And finally, in doing the  
5 cumulative global warming analysis on this  
6 which I think really should be a part of the  
7 EIS. What are we talking about? How much can  
8 this actually help us solve these big problems  
9 with global warming and related climate  
10 change?

11 It's important to consider, and I  
12 would hope this would be a part of the  
13 analysis, that are we talking about cutting  
14 emissions or are we talking about just  
15 reducing additional new emissions? Because  
16 just because a large solar plant is built in a  
17 place like Arizona does not mean that a coal  
18 plant is going to be taken offline somewhere  
19 else. It doesn't mean that a natural gas  
20 plant is going to be taken offline somewhere  
21 else. And so that should really be a part of  
22 the big picture: how much can we really cut

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 our emissions versus is this just reducing  
2 additional emissions? And that would be I  
3 think a critical piece to look at. Of course  
4 my hope would be that we could, if one of  
5 these facilities were built then somewhere  
6 else, then we could take more polluting  
7 facilities offline. I think that's the only  
8 way we're going to get ahead.

9 Thank you.

10 MR. MAGRUDER: Thank you again. My  
11 name is Marsh Magruder from Tubac, Arizona.

12 One thing I didn't talk about last  
13 time I was up here was utilities. They are  
14 absolutely against anything that impacts their  
15 present way of operation. Granted, they will  
16 like a power plant because they can't  
17 understand or even consider distributed  
18 generation. Distributed generation makes a  
19 stronger grid. Distributed generation  
20 restores voltage stability. Distributed  
21 generation is a better way to receive  
22 electricity because there is less transmission

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 loss, energy loss, especially if it's on the  
2 roof to the house, the loss is nothing. But  
3 if it's 1,000 miles away or 200 miles away,  
4 like in my case it's 15.96 percent. So almost  
5 116 watts are required for me to receive 100.

6 So looking at the distance for  
7 those transmission lines is very important.  
8 The utilities get paid return on investment.  
9 They want to invest as much as possible so  
10 they can get a higher return. They have no  
11 cost incentive. They don't -- they, well, I  
12 listened to them at the Arizona Corporation  
13 Commission, they have a big issue, they don't  
14 have incentives. I'll give you an example.

15 They have a demand-side management  
16 program for shade trees. Who can object to a  
17 shade tree? That's going to reduce energy  
18 consumption in your house. They'll give you a  
19 \$30 coupon to go buy a tree. But you have to  
20 submit a diagram of your house before you can  
21 get the coupon, tell them on the east south of  
22 the west side of the house within 15 feet

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 where it's going to be planted. They then  
2 will mail you the coupon. And then 30 percent  
3 die, but assuming that it lives they come out  
4 and inspect your house. It costs \$65 for them  
5 to give you a \$30 coupon.

6 Now, I'm not against trees. In  
7 fact, I think trees are very important. But  
8 this is not a cost-effective program. And  
9 they tout it and they think it's the greatest  
10 thing going. And it's not cost effective.  
11 And the public doesn't know this. They get  
12 the coupons and they're happy. They think the  
13 trees are great.

14 So we need to get through the  
15 facade that the utility companies put out--  
16 which is mostly for their bottom line and not  
17 the bottom line for the environment. The  
18 bottom line for them is for their  
19 shareholders. Second in that line is maybe  
20 the rate payers because they are beat on  
21 enough by the Utility Commission. And the  
22 environment doesn't count. So you really need

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to watch the utility companies because I don't  
2 consider them as honest as they could be.

3 I tried to connect a solar system  
4 in my county four years ago. Six months of  
5 trying to figure out how to plug it in. I  
6 canceled the contract because they didn't know  
7 how to plug it in. I don't think they didn't  
8 know how to plug it in, I don't think they  
9 wanted to plug it in. And that's the problem  
10 with the utility companies, they don't want  
11 this, but the great majority of the people in  
12 the United States, as you've heard tonight, no  
13 one is opposed to solar power.

14 Thank you very much.

15 MR. AVCI: Thank you. Is there  
16 anybody else who would like to add to his or  
17 her previous comments? I saw a pair of hands.

18 Would you come to the podium, please.

19 And state your name and affiliation.

20 MR. MARCOTTE: Hello. My name is  
21 Bruce Marcotte. I don't represent anybody but  
22 myself.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Here you're talking about federally  
2 managed federal lands, public lands. There's  
3 another group of lands we have called military  
4 bases and oftentimes they will encompass  
5 thousands of square acres of land that are  
6 just fenced in and do nothing.

7           So let's examine the prospect of  
8 using military bases that are located  
9 throughout the country, close to cities and  
10 close to the power grid where we could set up  
11 all sorts of solar energy collection and  
12 generation systems.

13           Thank you.

14           MR. SCHWARTZCHILD: Hello, Arthur  
15 Schwartzchild again. I'm a Tucsonan.

16           So my understanding is that we have  
17 an impact statement where which is part of the  
18 program of getting the applications in and  
19 that there is going to be very little  
20 assessment of the environmental impact from  
21 individual applications. And the exchange  
22 between a former legislator and one of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 panelists supports that notion when you talked  
2 about reducing the redundancy. I know it  
3 wasn't meant in this way but it kind of sounds  
4 like if you don't have the applications being  
5 available to the public then maybe that will  
6 affect the comments. And I can't see how, and  
7 I don't mean to be unfair, I can't see how the  
8 comments won't be better if we have the  
9 applications.

10 And so I kind of object to this  
11 whole sense of it being legitimate to have an  
12 environmental impact statement. And even in  
13 the discussion before when I got here  
14 accidentally an hour early the "P" was kind of  
15 left out in terms of, well, this is an  
16 environmental impact statement. I think the  
17 "P" kind of makes it into an anti-  
18 environmental impact activity because we think  
19 we've done it and we don't have to do it when  
20 the applications come in. So I would very  
21 much think that it's much too vague.

22 I mean what do these different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 applications have in comment? I don't think  
2 there's anything legitimately in common in  
3 between them. And so I criticize the program  
4 by being too vague. I mean, yes, it uses the  
5 public lands. Yes, it has a right-of-way  
6 component. But there's been comments about  
7 water. And so you have a right-of-way to the  
8 pumping of the water out of the ground, as a  
9 well? I think the right-of-way expression is  
10 a problem too.

11 I would very much, you know, like  
12 to have the applications be given public  
13 review. You have a fiduciary responsibility  
14 here. I think your fiduciary responsibility  
15 is to recognize that you can charge less than  
16 anybody else for what you're providing and,  
17 therefore, you can be an agent of great  
18 catalytic impact.

19 Thank you very much.

20 MR. AVCI: Thank you. Is there  
21 anybody else? Going once.

22 (No response.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. AVCI: Thank you all for coming  
2 tonight. Special thanks to those of you who  
3 provided comments.

4 Just a reminder that the comment  
5 period for the PEIS runs through July 15. If  
6 during this time you should have additional  
7 comments or if you decide to make comments for  
8 the first time you can send in written  
9 comments by mail to the address that was shown  
10 earlier or provide your comments on the web at  
11 solareis.anl.gov.

12 I wish you have a safe trip back  
13 home or wherever your destination might be.  
14 It is now 8:47 by my watch and this meeting is  
15 officially adjourned.

16 (Whereupon, at 8:47 p.m., the  
17 meeting in the above-entitled matter was  
18 concluded.)

19  
20  
21  
22

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)