

Transcript

Solar Energy Development Programmatic EIS Scoping Meeting held in Las Vegas NV, June 18, 2008

This Acrobat PDF file contains the transcript of the above referenced Solar Energy Development Programmatic EIS public scoping meeting. If you are interested in reading the scoping comments provided by a specific person or organization at this meeting, you may use Acrobat's search tool to locate the commenter's name/organization within the transcript.

UNITED STATES DEPARTMENT OF ENERGY AND
BUREAU OF LAND MANAGEMENT

+ + + + +

SOLAR ENERGY DEVELOPMENT
PROGRAMMATIC ENVIRONMENTAL IMPACT STATEMENT
(PEIS)
PUBLIC SCOPING MEETING

+ + + + +

WEDNESDAY
JUNE 18, 2008

6:30 P.M.

+ + + + +

CLARION HOTEL AND SUITES
325 E. FLAMINGO ROAD
477 NW PHOENIX DRIVE
LAS VEGAS, NEVADA 89169

DOUG DAHLE
National Renewable Energy Lab. (NREL)

JOHN GASPER
Argonne National Laboratories

HEIDI HARTMANN
Argonne National Laboratories

MARY JO RUGWELL
Bureau of Land Management

LINDA RESSEGUE
Bureau of Land Management

FRANK WILKINS
Department of Energy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

TABLE OF CONTENTS

Opening of Meeting, Ms. Hartmann..... 3
Presentation by Ms. Rugwell, BLM..... 3
Presentation by Mr. Wilkins, DOE..... 5
Presentation by Ms. Ressegue, BLM..... 12
Presentation by Mr. Dahle, NREL..... 20
Overview of PEIS..... 32
Questions from Participants..... 39
Outlining Comment Process, Ms. Hartmann.... 49
Comments..... 53
Closing Remarks, Ms. Hartmann..... 74
Adjourn

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 P-R-O-C-E-E-D-I-N-G-S

2 (6:30 p.m.)

3 MS. HARTMANN: Thank you all for
4 coming. I'd like to welcome you to this public
5 scoping meeting for the Department of Energy
6 and Bureau of Land Management's Programmatic
7 Environmental Impact Statement for Solar
8 Energy Development.

9 We -- I'm going to be your
10 facilitator tonight. My name is Heidi
11 Hartmann and I work with Argonne National
12 Laboratories. We are conducting the EIS for
13 Department of Energy and Bureau of Land
14 Management.

15 And right now, I'd like to
16 introduce you to Mary Jo Rugwell. She's going
17 to be making a few opening comments for us.
18 Mary Jo is the Field Manager for BLM here in
19 Las Vegas.

20 MS. RUGWELL: Okay. Thank you so
21 much. We wanted to let you know that we
22 appreciate your time this evening. I am Mary

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Jo Rugwell. I am the new Field Manager for
2 the Bureau of Land Management here in Las
3 Vegas.

4 When we transition to three-tier, I
5 will become the District Manager for the
6 Southern Nevada District Office, which will
7 have the Las Vegas Field Office, the Pahrump
8 Field Office, and the Red Rock and Sloan Field
9 Offices under its jurisdiction. We have some
10 of the BLM employees from Las Vegas here.

11 The pending applications are with
12 the Las Vegas Field Office and there are some
13 with the Tonopah Field Office, which is under
14 the Battle Mountain District.

15 The Manager in Tonopah is Tom
16 Seeley and, again, I'm the Manager in Las
17 Vegas, so that just kind of gives you some
18 contact points if you have questions later.

19 Again, we do appreciate your time
20 this evening. We know how busy everyone is,
21 but it's important to give the public an
22 opportunity to express their concerns about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this programmatic EIS process.

2 So, with that, we'll turn it over
3 to -- Linda, are you going first or -- we'll
4 send it back to the facilitator.

5 MS. HARTMANN: Next we have Frank
6 Tex Wilkins. He's Team Leader for Department
7 of Energy's Solar Energy Technologies Program.

8 MR. WILKINS: Hi. I can give you a
9 little bit of a snapshot of why DOE is
10 interested in this programmatic environmental
11 impact statement, and it sort of all starts
12 with the goals at the Department of Energy.

13 One is that we are to add energy
14 supply from a diverse -- a wide variety of
15 sources, renewable energy being primary among
16 those.

17 The other is that while we're doing
18 that, we want to improve the environmental
19 impact of the -- those technologies so we'll
20 reduce the problems with global warming,
21 habitat, various other things.

22 And we in the solar programs think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that solar energy fits the bill on both sides.

2 For sure, it's renewable technology and it
3 doesn't emit greenhouse gases in the process
4 of producing the power.

5 The resources that we had to work
6 with this year essentially was about \$170
7 million. And as you can see from the slide
8 there, most of the money, virtually 90 percent
9 of it, goes towards research and development,
10 and that's basically what R&D -- what DOE is
11 all about. We provide money to some national
12 laboratories -- NREL, the National Renewable
13 Energy Laboratory, and Sandia, for example.
14 We provide money to industry through
15 competitive solicitations and as well as to
16 some universities.

17 So the research and development is
18 essentially to reduce the cost of the
19 technology and to improve its reliability.

20 But we also have another area
21 called Market Transformation, where we deal
22 with a variety of entities, including the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Bureau of Land Management, various cities
2 called the Solar American Cities, and the idea
3 here is to reduce the non-technical barriers
4 to the deployment of solar energy, and you can
5 see that's about \$18 million, and the work
6 that we're doing through this PEIS is part of
7 that, although it's a relatively small part of
8 that 18.

9 Okay. The two basic solar
10 technologies that we deal with are
11 photovoltaics, which is probably what most
12 people are most familiar with. You'll see it
13 mostly on roofs of houses or businesses. It
14 provides the power for satellites, and you'll
15 see it along the road powering off phones.

16 But you can also put these things
17 together getting the modules into larger
18 systems, and they can be used to generate a
19 lot of power for utilities.

20 The other technology is
21 concentrating solar power. Here, these
22 systems -- and you'll get a more detailed idea

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of what these are in a little bit -- but these
2 systems tend to be much larger and produce
3 power at a scale that is most fitting for
4 utilities, so they're in tens or hundreds of
5 megawatts.

6 By the way, I guess just to give
7 you another flavor, of that 170 million, about
8 140 of it goes toward photovoltaics and about
9 30 million of it goes towards CSP.

10 Okay. Why are we interested in
11 this programmatic environmental impact
12 statement, working particularly with Bureau of
13 Land Management? Well, these systems tend to
14 be large. Each one that we're dealing with is
15 going to produce power for tens of thousands
16 of homes and it requires two things. One is
17 that we want the most intense solar resources
18 can find, and it turns out the solar intensity
19 of the six states that we're going to be
20 dealing with, and that includes California,
21 Nevada, Arizona, Colorado, New Mexico, and
22 Utah, the solar resources in those six states

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is the best in this country and it is among
2 the best in the world. And when you consider
3 the fact that there is a fairly large number
4 of people living in these six states and it's
5 growing pretty rapidly, it's a great
6 confluence of the resource and the
7 availability of producing power for a lot of
8 people.

9 But the other thing is that these
10 systems require a fair amount of land, at
11 least five acres per each megawatt. So if you
12 have a 250-megawatt project, you're talking
13 about something that could be two square miles
14 or larger.

15 So that sort of brings us to why
16 DOE has teamed up with the Bureau of Land
17 Management because, in those six states, the
18 Bureau of Land Management manages
19 approximately 119 million acres of federal
20 land. So that's a good combination from our
21 point of view.

22 Okay. What do we expect to come

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 out of this? Well, the first thing and the
2 most important thing from our point of view is
3 identification of the land that meets a lot of
4 criteria, both technical and environmental.
5 Now, those of us at DOE -- and I'm an engineer
6 -- we tend to be more along the technical
7 aspect of things because, again, mostly what
8 we do is R&D, so we know what the needs of the
9 technology are from a technical point of view
10 and mostly that means you want to have the
11 best solar resource and land that's relatively
12 flat, somewhere between perfectly flat and
13 maybe up to five degrees, but the flatter, the
14 better. And there are some other criteria,
15 but those are the two main ones.

16 And then there's the environmental
17 and, again, from a technical point of view, we
18 don't get into a whole lot of the
19 environmental aspects of the thing, but the
20 Bureau of Land Management does so, therefore,
21 again a good combination of us with them in
22 that they're going to let us know, okay, what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 land has to be set aside for the environmental
2 purposes, whether it's for habitat or cultural
3 or historic or whatever reasons.

4 We also want to establish a -- sort
5 of a policy that we would use for any project
6 that we would provide any kind of resources
7 for. And what we're expecting is to come out
8 with something that shows here are the best
9 practices for building the thing and the best
10 practices for developing it so that it has a
11 minimal impact on the environment.

12 We also expect that this
13 programmatic environmental impact statement is
14 going to help the developers in that they will
15 be able to sort of tier off what we're doing,
16 and just that means that what we learn here,
17 they won't have to learn again when they have
18 to do an environmental impact statement on a
19 particular piece of land for a particular
20 project. So it will be some savings to them
21 in the process when they develop a project.

22 And then, finally, I guess what we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hope to get is a more accurate idea of how
2 much the potential of solar energy is to help
3 this country go forward from a variety of
4 points of view -- from how much power it might
5 be able to provide, how many jobs it might be
6 able to create, and then its impact on
7 reducing the environmental impacts of global
8 climate change.

9 Jobs are important. Power is
10 important. And as we go further and further
11 down the line, more and more of us are worried
12 about the effects on global climate change and
13 certainly those of us in the Solar Program
14 think that solar energy can play a role in
15 that.

16 So that's all I have.

17 MS. HARTMANN: Next, we have Linda
18 Resseguie. Linda is from the Washington
19 Office of BLM and she is the Project Manager
20 for this PEIS.

21 MS. RESSEGUIE: I'd like to also
22 extend my thanks for you participating in this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 meeting tonight. I think it's a really
2 important issue, one with lots of sides to it
3 and the public scoping meetings are critical
4 to finding out how you think we should proceed
5 with this project.

6 The Bureau of Land Management is
7 part of the Department of Interior and we do
8 manage 258 million surface acres. The slide
9 shows the distribution of those acres across
10 the United States, mostly in the western
11 United States and also in Alaska.

12 About, as Tex said, 119 million of
13 those acres, or 46 percent, are located in a
14 six-state study area, and if you look at the
15 map, much of Nevada is BLM-managed public
16 lands.

17 The BLM's multiple-use mission is
18 to sustain the health and productivity of the
19 public lands for the use and enjoyment of
20 present and future generations. The Bureau
21 accomplishes this by managing such activities
22 as outdoor recreation, livestock-raising,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mineral development, and energy production,
2 and by conserving natural, historic, and
3 cultural resources on the public lands.

4 Solar energy is one of many energy
5 resources now being developed or considered
6 for public lands. To ensure the best balance
7 of the uses and resource protections for
8 America's public lands, the BLM undertakes
9 extensive land use planning through a
10 collaborative approach with local, state, and
11 tribal governments, the public, and
12 stakeholder groups. The result is a set of
13 land use plans that provide the framework to
14 guide BLM's decisions for every action and
15 approved use on our public lands.

16 But many of BLM's existing land use
17 plans do not specifically address solar
18 development. Why is BLM involved? Well,
19 there are two reasons on the slide. First is
20 Executive Order 13212, which was issued in
21 2001. That directs agencies, federal
22 agencies, to expedite energy-related actions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and also in 2005, under the Energy Policy Act,
2 there is a provision that sets a goal for the
3 Department of the Interior to approve 10,000
4 megawatts of non-hydropower renewable energy
5 on the public lands by 2015.

6 So we are working toward that goal.

7 As I mentioned, BLM has to manage
8 public lands for a variety of resource uses.
9 That does include energy production. The
10 federal energy mix right now managed by BLM
11 includes oil and gas, helium, coal,
12 geothermal, wind, biomass, and soon utility-
13 scale solar. BLM has previously estimated
14 that as much as two thirds of the public lands
15 have high potential or may have high potential
16 for concentrated solar power energy
17 production.

18 Utility-scale solar energy products
19 on public lands are authorized by BLM as
20 rights of way under the Federal Land Policy
21 and Management Act, and all activities,
22 including rights of way, proposed for public

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 lands must be consistent with the terms,
2 conditions, and decisions in an approved land
3 use plan. Before BLM can approve the Solar
4 Energy Development Project, BLM must assess
5 the direct, indirect, and cumulative impacts
6 of such development and must consider other
7 resources, the values of those resources,
8 sensitive areas, and public concerns, and
9 that's all completed through a NEPA process.

10 To date, the BLM has received more
11 than 130 applications for solar energy
12 projects, mainly in Southern California but
13 also here in Nevada and in Arizona. And
14 although this meeting is not about specific
15 projects, you will have the opportunity to
16 comment on those projects as they are
17 processed.

18 Solar applications which have
19 already been filed with BLM will continue to
20 be processed under our current policy on a
21 case-by-case basis through a site-specific
22 NEPA process. These pending applications will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 move forward on a parallel track with the
2 programmatic environmental impact statement,
3 but new applications are no longer being
4 accepted by BLM until the programmatic is
5 completed.

6 What are BLM's programmatic goals?

7 Under our current Solar Energy Development
8 Policy, applications are processed on a first
9 come/first serve basis, each with its own
10 site-specific NEPA, but BLM believes that by
11 looking programmatically at the issues
12 associated with solar energy development, we
13 will be able to develop a more comprehensive,
14 consistent, and efficient program approach to
15 address solar energy proposals on public
16 lands.

17 The programmatic EIS will identify
18 public lands that are best suited to solar
19 energy development, will identify mitigation
20 strategies and best management practices to
21 guide future solar energy development, and we
22 are also looking at the possibility of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 identifying additional transmission corridors
2 specifically for the purpose of facilitating
3 solar energy development.

4 Now, some of you may have been
5 involved in a programmatic EIS that's going on
6 right now for -- it's called the West-Wide
7 Corridor Project, and that also looked at
8 transmission needs, but it didn't specifically
9 focus on solar. And so as we go through this
10 process of identifying the best plans for
11 solar energy development, we don't want to
12 miss an opportunity if there is one to
13 identify places where corridors may not have
14 been noticed, may not have been identified
15 through the West-Wide process.

16 We think that the programmatic will
17 be key to advancing an understanding about the
18 impacts of solar energy development and how
19 best to deal with those impacts and that the
20 resulting decisions will better foster and
21 support the nation's need for environmentally
22 sound solar energy development.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We expect to amend land use plans
2 in the six-state area to adopt the decisions
3 that are made as a result of the programmatic
4 EIS and these meetings are an important part
5 of the BLM planning process that is needed to
6 amend land use plans as well as the NEPA
7 process.

8 In our Federal Register notice of
9 May 29th, we included proposed planning
10 criteria and we are also asking for your
11 comments tonight and through the public
12 scoping process on those criteria.

13 Thank you.

14 MS. HARTMANN: There is a -- the
15 National Renewable Energy Laboratory in Denver
16 supports DOE and BLM. And for this PEIS, they
17 are supporting that in several ways. One is
18 to provide background information about the
19 various solar technologies that are currently
20 being developed or exist already, and another
21 is to identify the solar resource potential of
22 BLM lands in the six-state area or that's the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 intensity of the sunlight in each area, and
2 the third is to model market penetration
3 potential for solar energy over the next 20
4 years.

5 And we have Doug Dahle of NREL here
6 to tell us more about those things.

7 MR. DAHLE: Thank you, Heidi, and a
8 pleasure to be here. Thanks for taking your
9 time out of your evenings. I'd like to cover
10 three basic things. As Heidi mentioned,
11 basically briefly introduce you to the actual
12 solar technologies that are going to be
13 focused on. What we're talking about is
14 primarily utility-scale solar development.
15 This is not rooftop PV on homes. This is
16 large-scale ten-megawatt or bigger. It would
17 be fed into high-transmission lines and
18 service -- typically, utility companies,
19 whether it's industrial, rural, electric, or
20 otherwise.

21 The other thing we're going to show
22 you is basically the geographical information-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 based solar resources that actually match up
2 with the BLM lands, the map that you saw
3 earlier that Linda showed you.

4 And then also a couple of slides on
5 basically sort of the federal policies that
6 have a huge impact on the actual successful
7 deployment of these renewable technologies.

8 Basically, I hope you had a chance
9 to take a look at the posters. They're a
10 little bigger pictures of these things. But,
11 basically, the solar technologies are kind of
12 grouped into two major categories, the first
13 being dispatchable, and what that means is
14 they -- there's thermal storage or other
15 mechanisms by which you can dispatch the power
16 after, if you will, the sun goes down, thermal
17 storage being the biggest factor.

18 Those are the parabolic trough. Up
19 in the upper left is the parabolic trough.
20 It's basically a parabola-shaped mirror with a
21 linear focusing tube that heats this high
22 thermal fluid, runs into a heat transfer --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 heat transfer to water, flashes it into steam,
2 and run a conventional steam turbine
3 generator, so it's a thermoelectric system.

4 The one down in the lower right is
5 a very similar different technology, linear
6 focused again, and basically this is where the
7 actual tube -- it's mostly steam rather than a
8 high temperature fluid -- the tube actually
9 doesn't move and the mirrors focus light on
10 that tube to heat the fluid inside, primarily
11 water, and convert it to steam and run it
12 through a turbine generator.

13 The other one that is in the area
14 of the dispatch bowl is that third one, which
15 is called the power tower. I don't know if
16 anybody's ever driven I-40 near Daggett and
17 you see it actually off the freeway, one of
18 the very first high utility-scale developments
19 in this country for solar power. Basically,
20 this is molten salt typically at the top of a
21 high tower and they have hundreds of
22 heliostats, two-axis mirrors, that track the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sun and focus -- point focus on that tower and
2 heat that molten salt and then, again,
3 transfer it into -- flash it into steam for
4 running a turbine generator.

5 The other storage -- the solar
6 without storage or non-dispatchable basically
7 are in the middle -- up in the top -- second
8 row on the top is what's called concentrating
9 photovoltaics, and we'll talk about that
10 further.

11 Produces direct electricities, not
12 a thermal to electric process, converts
13 sunlight to electricity. The second one on
14 the fourth one there is called a dish sterling
15 engine. It's point focusing on a -- the front
16 end of a, basically an engine. It's a
17 sterling engine, high temperature, converts it
18 into -- uses -- heats a fluid to actually
19 drive a piston, if you will, and run a
20 generator. It's sort of thermoelectric but,
21 again, it's not dispatchable.

22 And the last, it's a flat plate PV

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that you saw on Tex's slide, sort of the
2 conventional stuff that you've probably seen
3 in a lot of applications.

4 Basically, the concentrating solar
5 power, the dispatchable power, are basically
6 these two as well as that linear -- it's
7 called the compact linear Fresno reflector.
8 But basically the one thing I would say about
9 the parabolic trough, there is about 350
10 megawatts commercially producing power, some
11 of them as long -- almost 15 years now. The
12 first ones were built in 1983 and 1984, so
13 this is considered generally a commercially-
14 available technology.

15 The central receiver or the power
16 tower, they have built a few of them. There's
17 a bunch of them in Europe coming online now.
18 It's kind of pre-commercial, but we expect to
19 see this show up in the next few years here in
20 this country where it's most appropriate.

21 The key thing about this, going
22 back to the dispatchable issue, is in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 particularly the power tower, the molten salt
2 that's used to convert it into -- to use to
3 convert water into steam can be stored, and
4 this -- one -- the very first solar one in
5 Daggett had a period that it actually produced
6 24-hour power to Southern California Edison
7 over a seven-day period until the clouds had
8 accumulated such that it actually was not able
9 to achieve it. But the essence of these
10 things are typically able to deliver power 70
11 percent of the hours of every year. So the
12 dispatchability -- and when you think about a
13 utility company -- you'll see this in the next
14 slide -- it's really relevant to have
15 dispatchable power.

16 Basically, what I'm showing here is
17 just sort of an example -- the red line is
18 basically what a utility system power code
19 looks like. Southern California Edison, for
20 example, has their peak at 7:00 in the
21 morning, typically, and 7:00, 7:30 at night.
22 That isn't necessarily coincident with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 solar resource. More so in the summer,
2 certainly, but not in the winter.

3 And the idea here is with that
4 dispatchability is you can actually not store
5 it -- thermal storage -- molten salt being the
6 biggest technology or -- basically have two
7 tanks, heat up this molten salt, and then
8 dispatch it and flash steam and run the
9 turbine generators after the sun has actually
10 gone down. So this is a huge benefit to
11 utilities to be able to actually get power
12 from solar systems after the sun has set. Big
13 factor in terms of being able to reduce the
14 loads.

15 The other thing that -- this -- the
16 value to particularly Southern -- the
17 Southwest is you have peak powers typically
18 when the sun's out, high air conditioning
19 loads in the summer. These can also be used
20 as peaking plants instead of bringing on gas
21 turbine generators.

22 Next slide. This is the category

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of non-dispatchable. Basically, the dish
2 sterling is -- we talked about it. It's
3 basically a point-focusing technology. It's
4 not really commercial at this point. There
5 are a number of them that have been tested for
6 years at Sandia, our partner laboratory that's
7 doing the R&D. They are just about ready to
8 hit the streets in terms of commercial
9 applications and they have some power purchase
10 agreements currently with Southern California
11 Edison and San Diego Gas & Electric to be
12 delivering power from this technology in -- by
13 2011, I believe.

14 Next slide. The other one in terms
15 of concentrating solar power is using
16 photovoltaics. There's three different
17 approaches to it. One is reflective, where
18 you take a parabolic dish and you focus it on
19 a PV cell -- photovoltaic, solar to electric.

20 The interesting thing about this, that all
21 three of these have the capability of, if you
22 will, producing what's the equivalent of 500

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 suns. The essence of this approach is that
2 same photovoltaic cell that's got all this
3 high-intensity solar generates the same amount
4 of power as if you had 500 cells on a flat
5 plane.

6 It's amazing that it works. And
7 the same thing -- the other way to do it is
8 called refractive, and it's very similar to
9 the lenses you might see on a fluorescent.
10 You see the little sort of diamond shape.
11 That's a refractive effect.

12 Here, it's very close to the cell
13 but basically it takes the direct sun, direct
14 normal sun, and focuses it on these panels,
15 the same thing -- produces a 500 sun
16 equivalent; i.e., you use less silicon or
17 thin-film cells to produce the same amount of
18 power.

19 And the last one in terms of the
20 concentrated PV is what we called reflective
21 in an optical rod. Same thing -- produces the
22 500-sun equivalent, the essence of it being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the amount of power you get out of the cells,
2 you have to get the same amount of power,
3 you'd have to use 500 times the surface of
4 solar cells.

5 Next slide basically shows you
6 what's the solar resource. You'll notice this
7 actually kind of matches Linda's slide, but
8 what this is now the layer of solar resource.

9 This is direct normal solar insolation is
10 what's used to operate all the systems we just
11 talked about. It's the direct normal. It's
12 basically hitting, if you will, 90 degrees and
13 on a parabolic it all focuses on one point,
14 that tube that's heated.

15 Next slide. This is the
16 conventional photovoltaics you may have seen,
17 probably not nearly as big. The first one --
18 this is flat plate solar photovoltaics. The
19 first one on the left is the biggest in the
20 United States. It's on the Nellis Air Force
21 Base, very close to here, 14.2 megawatts.
22 They happen to be single-axis trackers, so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they rotate through the day, trying to focus
2 on the sun.

3 And then the other one we showed
4 here, again going back to that original
5 thought that we were talking about utility
6 scale, this is an example of one that was
7 built in Portugal. It's 11 megawatts. And,
8 interesting enough, it's nice to see that the
9 impact on the vegetation is not very
10 significant for the photovoltaic systems.

11 This is basically the solar
12 resource that's supplied to the photovoltaics,
13 not the concentrating solar power. It's
14 called global solar radiation. It includes
15 that direct normal part of the sun, but it
16 also includes all the scatter through the
17 atmosphere. Any direction basically is what
18 the global refers to. It's a little lower
19 intensity, but this is used to calculate what
20 the production would be of a photovoltaic
21 system.

22 Next slide, basically I'm going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 get into a couple of slides talking about the
2 federal policies and how that may impact the
3 deployment of solar renewable technologies.

4 This is reflective of the impact on
5 the cost of energy from the solar investment
6 tax credit that's been in place for several
7 years, expected to expire in December of this
8 year.

9 One of the -- let's go to the next
10 slide. One of the models that we're going to
11 be using with Argonne, BLM, and DOE is a very
12 sophisticated linear model that looks at
13 hundreds of variables, 350 regions of
14 transmission systems. It also -- you know, it
15 integrates possible systems that are in place
16 right now, capacity in terms of being able to
17 deliver to load centers, things like that, and
18 the outcome of this was to make a projection
19 without that solar investment tax credit,
20 which is a 30 percent investment tax credit to
21 the private developer, if that goes away at
22 the end of this year, the projection is maybe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we might get six gigawatts or 6,000 megawatts
2 of power from solar technologies.

3 If that solar -- next slide -- if
4 that solar investment tax credit is extended,
5 the last proposal we saw that was shot down
6 was an eight-year extension with sort of a
7 sliding percentage of investment tax credit.
8 We think with this modeling -- we've done it
9 over and over and over -- that we're probably
10 looking into 35 to 40 gigawatts or 35,000 or
11 40,000 megawatts from solar technologies, so
12 it's a very significant factor in terms of a
13 federal policy that can help in the market
14 penetration in this technology.

15 And that's all I have.

16 MS. HARTMANN: I'm just going to
17 take a few minutes of time to give you an idea
18 of what's included in an environmental impact
19 statement and specifically what we'll be
20 including in this EIS for Solar Energy
21 Development.

22 Environmental impact statements are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mandated under the National Environmental
2 Policy Act, and what they do is they look at
3 impacts of a proposed action on the
4 environment, on socioeconomic conditions.
5 It's not up here but on cultural conditions.
6 And we have specific analyses for also air
7 quality, water quality, hazardous materials,
8 any waste management that would be associated
9 with a project, and what kinds of impacts in
10 those areas you would see.

11 The agency or agencies that are
12 conducting the EIS will give a clear statement
13 of their purpose and need, and Linda and Tex
14 already outlined for you what that will be for
15 their agencies.

16 We look at mitigations for
17 identified adverse impacts. We try to
18 identify if there are mitigation measures that
19 could eliminate the adverse impacts or that
20 could minimize them to an acceptable degree.

21 If there are -- it is mandated that
22 alternatives to the proposed action be looked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at in every EIS. And then a very important
2 part, and part of the reason you're all here
3 today, is that you take public input and you
4 hear the public's concerns and ideas about the
5 proposed action for every EIS.

6 This EIS has been determined to be
7 a major federal action, which is -- the action
8 being looked at is the development of a
9 program that would be agency-wide for each of
10 these and also policies and, as was said
11 earlier, we're hoping for -- the agencies are
12 hoping for a consistent set of management
13 practices to come out of this that will be
14 applied to every -- to future site-specific
15 assessments.

16 This assessment will be
17 programmatic. It's a broad agency action.
18 And so they're not considering specific
19 projects in this assessment.

20 The generic impacts we talk about
21 is what a programmatic looks like. In this
22 instance, land disturbance, maybe a range of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 water uses for various technologies that are
2 out there or are under development.

3 Okay. The next slide, please. We
4 are in the scoping phase. Scoping for an EIS
5 starts when a notice of intent to prepare an
6 EIS is published in the Federal Register. In
7 this case, it was published May 29th and the
8 scoping -- during the scoping period, we're
9 looking for public input on what the proposed
10 action is, the alternatives that are being
11 looked at, and those are included in the -- a
12 more detailed description is in the Federal
13 Register notice of intent, but I'll be going
14 over that in a second, too.

15 And if you have -- if the public or
16 individuals or organizations have knowledge or
17 data that they want to submit to the agencies
18 during this time or ideas about mitigation
19 measures, the BLM and DOE would welcome anyone
20 to submit those.

21 Here we are on the alternatives.
22 I'm going to -- the no-action alternative is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 required part of any environmental impact
2 statement, but first I'm going to talk about
3 what the proposed action is and then it's
4 easier to understand what the no-action
5 alternative is.

6 For this project, the proposed
7 action is to develop agency-specific programs
8 to facilitate utility-scale solar energy
9 development on BLM lands or also for projects
10 that are supported by the DOE. That might not
11 -- might be on project lands or tribal or
12 state lands also.

13 As we've mentioned a few times,
14 we'd like to identify potential mitigation
15 strategies and best management practices, and
16 then BLM intends to use the PEIS to amend
17 their land use plans, identifying lands that
18 are good for solar energy developments and
19 lands that wouldn't be appropriate for those
20 developments.

21 The no-action alternative, by
22 contrast -- in contrast will be not developing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 agency-specific programs and policies and so
2 the agencies would evaluate individual
3 projects case by case, which the agencies
4 believe at this point would not be as
5 effective at facilitating solar energy
6 development.

7 For the BLM, there is a limited
8 development alternative where they're
9 proposing to look at projects that have
10 already been submitted -- the applications
11 have been submitted and they already are at
12 the stage where they have a completed plan of
13 development, and that alternative would say
14 that would be all the development that would
15 occur and look at the impacts of just those
16 projects.

17 Well, many of you are here just to
18 learn about the project, and some of you are
19 here to submit comments on the project. But I
20 think we're going to take a few minutes now to
21 -- before we hear the comments from the
22 audience -- to let you ask questions of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 staff members here. Just -- at this point,
2 just on the information we've presented so
3 far, if you need clarification on anything.
4 And after that, we'll talk about the process
5 for submitting your comments.

6 I did want to tell you a few things
7 about asking questions. These microphones are
8 very sensitive. You have to hold it right in
9 front of you, which I hope I've been doing all
10 right. And we'd like you to keep your
11 comments and questions focused on the
12 programmatic. We aren't really taking
13 questions on specific projects at this point.

14 Is there anyone who has -- also,
15 one more thing. We do have a court reporter
16 here. This whole session is being transcribed
17 and the transcript will be posted on our
18 website, which I'll give you the URL for in a
19 little bit.

20 Any questions? Could you please
21 tell us your name and then go ahead with your
22 question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WHITE: My name is James White,
2 and the question I have and I hope it's
3 related is what is BLM's intention for
4 projects that already have permits? I've
5 heard a couple different rumors -- excuse me -
6 - not permits, but applications. So I've
7 heard a couple rumors about what's going to
8 happen there but it's not clear as to whether
9 they'll ultimately be evaluated against the
10 programmatic EIS. I'll leave it at that.

11 MS. RESSEGUIE: I think I can
12 respond to that question. Our intention is to
13 continue to process the existing applications
14 on a case-by-case basis under our current
15 policy. And we anticipate that applications
16 that -- where developers have a pretty good
17 idea of what they're going to do and have
18 explained it to BLM in their plan of
19 development, that we'll soon start issuing
20 notices of intent to initiate environmental
21 impact statements on specific projects. I
22 think right now we only have one that actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 has had a notice of intent issued. But we are
2 going forward with that project and for -- I'm
3 sorry -- we're going forward with all the
4 existing applications. As soon as they're
5 ready for a notice, then we'll start that
6 process.

7 And we anticipate that some of the
8 projects, maybe many of the projects, will be
9 through the process before the final PEIS is
10 issued and the record of decision which brings
11 the decisions forward and incorporates them
12 into our actual land use plans and into
13 practices.

14 So if we issue a right-of-way
15 application to a company before that, then the
16 terms and conditions under which we issue that
17 right-of-way application would still apply.
18 If the PEIS is completed first and we get to
19 the point where we've adopted Bureau of Land
20 Management practices, then those would also
21 apply to the existing applications. But those
22 applications will go forward on their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 basically own timetable and at some point the
2 two might converge, depending on whether the
3 PEIS gets done first or the site-specific NEPA
4 and the right-of-way grant is issued first.

5 MR. BECHTEL: My name is Dennis
6 Bechtel. Curious. The PEIS, will it be
7 considering transmission corridors in addition
8 to the projects themselves?

9 MS. RESSEGUIE: I thought I had
10 that exact answer to your question, but now
11 that I'm considering it a little bit, what
12 you're saying is the transmission associated
13 with a specific project, the -- all we are
14 looking at in the PEIS is the need to
15 designate additional corridors to areas with
16 high solar resource potential on BLM lands,
17 areas that are best suited to develop. That's
18 what we're going to focus on in the PEIS,
19 looking at whether we need to designate
20 additional corridors for transmission purposes
21 that may have been missed in the Westwide
22 Corridor Project.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BENJAMIN: What, if any,
2 coordination is being done with the Western
3 Governors Association Initiative on Renewable
4 Energy Zones that's attempting to identify
5 zones for geothermal wind and solar which may
6 also include transmission? I think it just
7 was kicked off a couple of weeks ago.

8 MR. WILKINS: We --

9 MR. BENJAMIN: Do you need my name?
10 Charles Benjamin, Director of the Nevada
11 Office of Western Resource Advocates.

12 MR. WILKINS: Great question
13 because the Western Governors Association
14 Renewable Energy Zone Initiative is very
15 similar to what we're going to be doing, so
16 coordination is going to be required also with
17 the Renewable Energy Transmission Initiative,
18 RETI, which is going on in California.

19 So some of us, including my
20 colleague -- he's sitting by the computer up
21 here -- has been involved with a number of the
22 conversations with RETI, has gone to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Western Governors Association meetings,
2 essentially kicking off their process, and
3 indeed we at the DOE are paying for part of
4 that WGA process. So we expect to be very
5 coordinated with all these other activities.

6 MR. BENJAMIN: If I could ask a
7 follow-up question. As you may or may not be
8 aware, the State of Nevada has also got a
9 process underway that the Governor Gibbons has
10 launched called the Renewable Transmission --
11 Renewable Transmission Energy -- it's RETAC --
12 I can't remember what it stands for -- which
13 also is attempting to identify renewable
14 energy zones specifically in Nevada and
15 potential transmission corridors, as well as
16 barriers of all sorts.

17 And I was wondering what kind of,
18 if any, coordination is happening with regard
19 to that effort.

20 MR. WILKINS: I wasn't aware of it,
21 but it sounds like we need to be talking. If
22 you could provide any information to us so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that we can find out who to call, I would do
2 that.

3 MR. BENJAMIN: Just look under the
4 State of Nevada website under Governor Gibbons
5 and they've got the full report, including
6 maps, right there.

7 MR. LAUSTEN: Mark Lausten with the
8 Department of Energy. I believe the Arizona
9 process is being tied in with Western
10 Governors effort and -- I'm sorry -- Nevada's
11 effort also. All the states of the Western
12 Governors Association, many of them have done
13 similar studies already and much of that
14 information is being tied in with the Western
15 Governors Renewable Energy Initiative.

16 MS. BURKETT: Hi. Good evening.
17 I'm Cheryl Burkett. The gentleman on the end,
18 in your presentation, you -- several of the
19 last two slides showed with and without
20 incentive tax credits. Is that information
21 available on the Internet? Are these slides
22 available on the Internet?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. DAHLE: All of the
2 presentations you've seen tonight are on the
3 website.

4 MS. BURKETT: Okay. Thank you.

5 MR. SPANOS: Chris Spanos. The 130
6 applications, does that total 10,000 megawatts
7 or is there a need for additional applications
8 at a later date to meet that criteria?

9 MS. RESSEGUIE: First of all, on
10 the 10,000 -- the answer is yes. Actually, it
11 far exceeds it. If you go with the
12 developers' estimate of the megawatts that
13 would be produced in those projects, I think
14 we added them up and it's something like 70
15 billion watts of power.

16 But one thing to remember about the
17 10,000 megawatts is it's from a combination of
18 renewable energy sources. So as long as it's
19 non-hydropower, so geothermal, wind, in solar,
20 even biomass projects would all contribute to
21 that goal. So it's out there but it doesn't
22 need to be all solar, just one point.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WHITE: Hi. James White again.
2 Wanted to also just get some clarification to
3 make sure I understand. For the interim
4 period while the PEIS is being developed, is
5 BLM not accepting additional lease
6 applications, right-of-way applications, or
7 are you simply not processing --

8 MS. RESSEGUIE: Not accepting.

9 MR. WHITE: Okay. So just -- they
10 bounce right back?

11 MS. RESSEGUIE: Exactly.

12 MR. WHITE: Okay. Thanks.

13 MS. RESSEGUIE: Sure.

14 MR. SPANOS: Would that be
15 reopened, whether they can apply for more
16 applications at a later date?

17 MS. RESSEGUIE: We intend to
18 establish procedures as a result of the PEIS
19 and after the PEIS -- is your question whether
20 the decision to not accept applications could
21 be reopened --

22 MR. SPANOS: At a later date. Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. RESSEGUIE: -- at a later date?
2 Certainly it could be revisited. It is a
3 policy decision that was made and it could be
4 revisited at a later date.

5 MS. FRAZIER: Hi. I'm Jody
6 Frazier. Could someone please provide maybe a
7 brief description of which technologies would
8 require groundwater usage and how much.

9 MR. WILKINS: The photovoltaics,
10 whether they're concentrating or flat plate,
11 require some water for cleaning the mirrors
12 every so often or the panels themselves. The
13 sterling system requires no water except also
14 for cleaning the mirrors. The parabolic
15 troughs and power towers, the linear Fresnel
16 system requires water for -- they generate
17 steam for turbines and they require some
18 water. It's a -- the question of how much
19 water depends on whether they are what they
20 call wet-cool or dry-cool, but cooling
21 requires more water. But in certain areas in
22 California, I think there's some restrictions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on the amount of water that new power plants
2 can use, so I think a lot of the new plants
3 will probably wind up being dry-cooled. But I
4 think everybody's aware that water is an issue
5 here in the desert.

6 UNIDENTIFIED SPEAKER: So just to
7 put that in perspective, how -- as opposed to
8 other forms of energy, how much water is used
9 in a solar -- you know, in the various
10 different solar, you know, types.

11 MR. WILKINS: If you were to
12 compare, say, a trough plant that uses wet-
13 cooling with a coal plant. They would
14 probably be about -- very similar on the per-
15 megawatt basis.

16 With dry-cooling, whether it's coal
17 plant or a trough plant or a power, that
18 amount of water would be reduced by maybe 90
19 percent.

20 MS. HARTMANN: All right. I'm
21 going to go ahead and continue. I'm going to
22 talk a little bit about the scoping process.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Right now, we're in the -- actually, just the
2 public involvement process in general. During
3 the scoping period that's from -- it was May
4 29th it started and it goes through July 15th
5 -- the DOE and BLM are holding 11 public
6 scoping meetings, just like this one, in the
7 six-state area, so we're getting the message
8 out there quite a bit.

9 You can submit your comments during
10 this period. The draft EIS is scheduled to be
11 done next spring, and when that's published,
12 there's a comment period following where the
13 public submits their comments and then all of
14 the comments will be responded to and then the
15 final EIS is scheduled for spring of 2010.

16 For the comments tonight -- can you
17 -- go one slide forward please -- also wanted
18 to let you know, this is the website that
19 we've been talking about -- solareis.anl.gov -
20 - that's a good resource. There's background
21 information about a lot of the technologies
22 there. There will be information about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 status of the PEIS, PEIS-related documents.
2 There will be a scoping report. If you want
3 to see reflected what happened here tonight,
4 that report should be out about the end of
5 August and it will be posted on the website.
6 The draft EIS will be posted there and the
7 final when it comes out.

8 You can also sign up -- you may
9 have signed up when you registered. You may
10 have given your e-mail address to get updates
11 and notifications from the website. You can
12 also go online and submit your e-mail there
13 and you will get notification. So it's a very
14 good resource.

15 Okay. For tonight for submitting
16 scoping comments, if you want to make an oral
17 comment tonight, that's great. If you want to
18 submit a written comment, you can use the
19 forms that were out at the registration table
20 if you like. You can also just mail in a
21 letter to the address that -- it's on the
22 form, that you can use that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 For oral comments tonight -- oh,
2 let's see. We're past that. We would like --
3 there's a few ground rules that we've set up
4 for it. We're going to call people up in the
5 order that -- the pre-registered people in the
6 order that they registered, we'll call their
7 names and come on up here and state your name
8 and your affiliation, if you have one.

9 Let's see. Where are we here? Oh,
10 that's all right. We're -- we want to hear
11 everything everyone has to say, but we're
12 going to start with a three-minute time limit
13 on the comments. And then after everyone that
14 had signed up has gone through, if you had --
15 and we ask for other people who maybe didn't
16 realize they wanted to make a comment and have
17 decided they want to now -- we'll give
18 everyone a chance for that, and then if people
19 who initially gave comments and weren't quite
20 done at the three-minute point want to come
21 back up and continue, you can do that, too.
22 So we want to make sure we get everyone's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 comments in.

2 Leave written comments with one of
3 the staff members. We're all wearing name
4 tags. And to signal you, I'm going to be
5 sitting back at this desk here. And when
6 you've reached the two-minute limit, I'll put
7 up a yellow card just to let you know. And
8 then when you're at three minutes, I'll put up
9 a red card so -- to help you out.

10 So I'm just going to call the first
11 few people -- oh, I'm sorry. I forgot an
12 important point. We do have a cameraman from
13 -- is it Channel 8? -- Channel 8 here and he
14 may be filming. If you don't want your
15 comment filmed, just let us know. Okay?

16 All right. I'm going to say who
17 the first three speakers are and then you'll
18 know that you're coming. First, we'll have
19 Lee Otteni, if that's pronounced correctly,
20 and then Eileen Christianson and Lee Wallach,
21 so is Lee here, Lee Otteni?

22 (No response.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 All right. Let's see. How about
2 Eileen Christianson?

3 (Pause.)

4 MS. EASTLEY: Can you hear me?
5 There we go. Good evening. My name is Joni
6 Eastley. I chair the Nye County Board of
7 Commissioners. Nye County has been inundated
8 with renewable energy developers interested in
9 constructing facilities in our county. The
10 interest has -- which is a good and a bad
11 thing -- has grown to such a level that the
12 BLM has imposed a two-year moratorium on the
13 acceptance of new right-of-way applications
14 for solar power productions.

15 While we as a county are really
16 very excited at the prospect of so much new
17 development, and we welcome the opportunity to
18 be at the forefront of an emerging industry in
19 the State of Nevada, we also recognize the
20 need to be realistic as we proceed with
21 implementation of the projects in our county.

22 Nye County has established a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 practice of pursuing economic development
2 opportunities in a way that promotes
3 responsible stewardship of our natural
4 resources. In keeping with this practice, we
5 realize that the economic potential brought by
6 these proposed renewable energy developments
7 really must be balanced against the current
8 and long-term needs of our communities and
9 their available resources.

10 The most pressing of these needs,
11 as you mentioned earlier, is water. The
12 estimated water needs of the developers with
13 current right-of-way applications already far
14 exceeds the amount of available water in the
15 areas the proposed projects are located.
16 Limited resources and the need to maintain
17 water availability for the growth of nearby
18 communities that will naturally accompany
19 these projects means that not all of the
20 proposed projects will be possible nor will
21 they even be desirable in Nye County.

22 It is our goal to work proactively

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and responsibly with the organizations and
2 stakeholders involved to encourage sustainable
3 development of the area's resources. To that
4 end, Nye County would like to participate in
5 the planning process as a cooperating partner
6 with the effecting agencies. We believe that
7 maintaining an open, ongoing dialogue among
8 all parties concerned is the very best way to
9 ensure a positive outcome not only for the
10 developers and the oversight agencies but for
11 Nye County and the residents that we
12 represent.

13 Thank you.

14 MS. HARTMANN: Lee Wallach here?

15 Lee Wallach?

16 (No response.)

17 Okay. How about Sean Kiernan? No?

18 (No response.)

19 And Rachel Gold. You are Sean?

20 MR. KIERNAN: Good evening. My
21 name is Sean Kiernan. I represent Ausra,
22 which is a large-scale solar thermal energy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 company based in Palo Alto, California.

2 Earlier this year, OSRA opened a
3 state-of-the-art manufacturing facility here
4 in Las Vegas which will produce reflectors and
5 receivers for use in solar thermal projects
6 throughout the Southwest, including our own
7 projects.

8 We recently entered into a contract
9 with Pacific Gas & Electric to build a 180-
10 megawatt project in Central California, and we
11 are also looking at other projects throughout
12 the Southwest.

13 We'd like to thank you for holding
14 this meeting and giving us an opportunity to
15 provide comments. While we applaud BLM and
16 the Department of Energy for their leadership
17 in helping promote the development of solar
18 energy on public lands, there are several
19 aspects of the notice of intent that require
20 revision if the programmatic EIS is going to
21 be a useful document.

22 First, it is an inappropriate and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 unnecessary to freeze all new right-of-way
2 applications during the preparation of the
3 programmatic EIS. Today, there are only two
4 trough projects online, a 350-megawatt plant
5 in Southern California and the 64-megawatt
6 plant here in Nevada. Freezing new
7 applications will significantly stunt the
8 growth of the industry, potentially killing
9 the industry before it is effectively gets off
10 the ground. We recognize that BLM is short on
11 resources. However, a full freeze on new
12 right-of-way applications is simply not the
13 answer.

14 Second, the programmatic EIS should
15 consider solar energy and transmission
16 development on federal lands other than those
17 managed by BLM. Many lands administered by
18 other agencies, such as Department of Defense
19 and the Forest Service, may be suitable for
20 solar energy development. A holistic approach
21 is especially important for transmission
22 siting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The programmatic EIS should review
2 other lands or at least set forth processes
3 for doing so with other agencies.

4 Third, the programmatic EIS needs
5 to provide clear criteria for efficiently
6 processing future project-specific
7 environmental reviews; in particular, an
8 explanation of how future site-specific
9 environmental views will be truncated due to
10 the programmatic EIS is necessary.

11 Finally, we encourage the BLM to
12 process the applications that were submitted
13 prior to the issuance of the notice of intent.

14 There has already been a policy in place
15 since 2007 which provides the regulatory
16 framework for processing these applications
17 and, as mentioned, you've already set forth
18 the notice of intent and commenced with the
19 NEPA work for a project in California.

20 We sincerely appreciate BLM and
21 DOE's efforts and look forward to working with
22 the agencies as they move forward.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. HARTMANN: Thank you. Wow. Is
2 Rachel Gold here?

3 MS. GOLD: Good evening. My name
4 is Rachel Gold and I am here on behalf of
5 Solar Millennium LLC. Solar Millennium is a
6 solar thermal developer based in California
7 but developing projects around the Southwest,
8 including here in Nevada, and I made many of
9 my comments on Monday evening at the first
10 meeting. But I just wanted to emphasize a few
11 things and echo some of the things that Sean
12 said tonight, which we're very glad that BLM
13 and DOE is going through this process, but we
14 want to ensure that this process comes up with
15 a final document that is useful and flexibly
16 identifies where solar projects and
17 transmission lines can and should be located.

18 We also want to ensure that the
19 near-term investment of solar energy projects
20 is not impacted, makes future site-specific
21 environmental reviews more efficient and
22 predictable, coordinates with state programs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and initiatives, and sets forth a clear
2 process for dealing with new developments and
3 changes. As an emerging industry, this is
4 particularly important because none of us can
5 anticipate how exactly the developments work
6 will occur in the future.

7 We also feel that it is
8 inappropriate to freeze all new right-of-way
9 applications at this time as it will greatly
10 impact our emerging industry.

11 And on that point, I would just
12 like to point out that there's been a lot of
13 talk about how many applications and how many
14 acres those applications cover, and it needs
15 to be recognized that not all of those
16 projects will or can move forward, so that
17 while it seems like a lot from the developer's
18 standpoint, we know that there are many
19 barriers for particular projects and many
20 different kinds of companies out there making
21 those applications.

22 Further, I'd just like to conclude

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 by saying that the -- we'd also like to ensure
2 that BLM and DOE consider how other federal
3 lands will be impacted by this PEIS and how
4 that coordination will occur.

5 Thank you very much.

6 MS. HARTMANN: Next, we have Joni
7 Eastley.

8 MS. EASTLEY: I just spoke.

9 MS. HARTMANN: Oh, I'm sorry. You
10 were signed up twice. Sorry. John Hiatt.
11 And after John, we'll have Terry Page, and
12 then Dave Wechsler.

13 MR. HIATT: My name is John Hiatt
14 and I'm representing Red Rock Audubon Society
15 here. I've never met anybody who is opposed
16 to the concept of solar energy, but then we
17 get to the details of working it out. And
18 what we're looking at here, with the
19 applications that are presently onboard, and
20 the ones that we can expect to come, is
21 potentially the largest commitment, permanent,
22 irreversible commitment of federal land in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 West ever. We're talking about a million
2 acres plus which would be irreversibly altered
3 if we just went ahead with all this.

4 And so I think that it's incredibly
5 important we take a look at the whole picture
6 of what we're trying to do with energy, on how
7 we can most effectively use solar energy in
8 the greater scheme of things and which lands
9 are really appropriate for that because
10 there's really no recovery from projects which
11 grade off the land, cover with gravel, and
12 then decide, you know, it doesn't work or it's
13 not efficient.

14 So towards that end, I think that
15 it's important for the Department of Energy to
16 look at various technologies and give priority
17 to those technologies which have the greatest
18 energy output per unit area so that we don't
19 have inefficient projects just because
20 somebody favors one technology over another
21 because that's what they know. We really need
22 to be looking at the very best technologies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'd also note that Executive Order
2 13212 says not only are we supposed to look at
3 production transmission but conservation of
4 energy, and they really go together. If
5 people are thinking that we can generate a lot
6 of solar energy and we -- just extra energy we
7 can do whatever we want with it, that's sort
8 of like looking at low-calorie cookies and
9 thinking we can eat as many as we want because
10 they're low-calories. It doesn't work that
11 way. We really need to look at conservation
12 of energy concomitantly with this new energy
13 source, solar.

14 So I would encourage the Department
15 of Energy to really weigh in on their end of
16 this to look at the big picture and emphasize
17 what can be done overall to solve society's
18 needs.

19 I would also hope that we can
20 really take a good look at all those lands
21 which are being proposed and evaluate all of
22 the resources there, including cultural, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in the State of Nevada are not necessarily
2 well-defined or well-publicized. The State
3 Historic Preservation Office doesn't publicize
4 this information. It's not readily available.

5 And so somehow this needs to be
6 brought into the decision-making process so we
7 don't destroy our cultural sites, of which
8 there are thousands and thousands in the State
9 of Nevada.

10 So I'm looking forward to see what
11 comes out of this draft EIS. I'm optimistic.

12 But I also recognize that it's an incredibly
13 difficult thing and I hope that we can come up
14 with a document which protects our natural
15 resources here as well as allows us to
16 generate significant amounts of solar power.

17 Thank you.

18 MR. PAGE: Good evening. My name
19 is Terry Page. I'm with Acciona Solar Power.

20 We built and commissioned the 65-megawatt
21 power plant in Boulder City a year ago. It's
22 been up and running for 12 months. It works.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 It works as expected. In fact, it's exceeded
2 expectations.

3 We have concerns at Acciona about
4 the freeze and the shunting effect it will
5 have on new development. We're continually
6 looking for the most opportunistic I guess is
7 the right word and economically feasible
8 sites. If you're going to rule out over the
9 next two-year period us looking at any BLM
10 sites, that's of concern.

11 We'll prepare some written comments
12 and file them with you. And like others have
13 said tonight that are developers, I believe
14 all of us that are in this industry know that
15 of all those applications that you have,
16 there's only a small portion of those that are
17 realistic and reasonable. Lots of speculation
18 out there. And as that speculation starts to
19 dry up, I believe freezing for a two-year
20 period new applicants that have proven
21 projects, proven technology, and the economic
22 backing to go forward, shutting them out of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the process will have negative consequences on
2 the 10,000-plus megawatts that you're trying
3 to accomplish in the near-term.

4 And we'll provide those comments in
5 more detail in writing, but that's our --
6 those are our verbal comments. Thank you.

7 MR. WECHSLER: Hi. I'm Dave
8 Wechsler and I represent Arrow Development
9 Corp. We're a private landowner here and in
10 Southern California. And what I'd like to
11 know is more of -- I'm here to network and to
12 kind of find out if there is some sort of
13 synergy between the developers of the
14 technologies and the -- as well as the
15 transmission situations that are available
16 that are needed where you can integrate
17 private lands and take the product from
18 private lands on a research and development
19 facility, even if it's not 5,000 acres -- if
20 it's 200 acres, if it's a hundred acres --
21 find a way that you could use what's available
22 and then even during this interim there may be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a possibility where you could find out that
2 you don't have to have a completely flat
3 slope. Maybe you can do it on a 30-degree
4 slope with a certain technology. Because I
5 think we all know that we need to do something
6 and we need to do something smart that's going
7 to work for all of us and work for our
8 children.

9 MS. HARTMANN: I'm a little afraid
10 to use the microphone at this point, but our
11 next and last person who signed up is Charles
12 Benjamin. And after Charles speaks, we'll
13 open it up to anyone else who didn't sign up
14 but may want to make a statement anyway.

15 MR. BENJAMIN: I'm a little
16 cautious about approaching the microphone
17 here. I don't have nearly the electric
18 personality of those previous speakers.

19 My name is Charles Benjamin. I'm
20 the Director of the Nevada Office of Western
21 Resource Advocates located in Carson City,
22 Nevada and I'm also a resident of Carson City,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Nevada. I am also the president of a
2 coalition -- a not-for-profit coalition called
3 Nevadans for Clean Affordable Reliable Energy.

4 That includes Western Resource Advocates, the
5 Natural Resources Defense Council, Sierra
6 Club, Bristlecone Alliance, Citizen Alert, the
7 Progressive Leadership Alliance of Nevada, the
8 American Institute of Architects, the Nevada
9 Conservation League, and the Southwest Energy
10 Efficiency Project. NCARE intervenes in and
11 speaks out at forums like this to advocate for
12 energy efficiency and renewable energy.

13 Tonight, though, I'm only speaking
14 on behalf of Western Resource Advocates and my
15 colleagues at the Boulder office of WRA will
16 be submitting more detailed comments by the
17 deadline.

18 Just for the purpose of informing
19 the audience who WRA is, we are a natural
20 resource conservation not-for-profit. Our
21 main office is in Boulder, Colorado, but we
22 have offices in Nevada, Arizona, Wyoming, New

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Mexico, and a couple of other states in the
2 Inter-Mountain West. We focus strictly on
3 land, water, and energy issues, sustainable
4 practices in all those.

5 Meeting the West's energy needs
6 will require new utility-scale renewable
7 energy generation projects, including solar.
8 Like any type of energy development, projects
9 should be done responsibly. First, with an
10 eye toward maximizing the benefits of
11 efficiency measures, then with regard to
12 minimizing impacts on public land and
13 wildlife.

14 All energy development should be
15 done smartly and responsibly. Clean energy
16 should be fast -- clean energy should not be
17 fast-tracked any more than coal-fired power
18 plants. We want renewable energy projects to
19 be carefully evaluated, planned adequately,
20 sited carefully, and, when necessary,
21 mitigated properly.

22 But we also want an even playing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 field. We're in favor of the BLM taking its
2 time to review solar projects to make sure
3 they're done right. But the BLM should apply
4 these same standards to evaluating the huge
5 impacts of the three coal-fired power plants
6 proposed in Nevada and the numerous coal-fired
7 power plants in the very same states that you
8 are looking at here for solar.

9 In other words, the BLM should
10 evaluate the overall impacts of coal-fired
11 power plants, not just on a case-by-case basis
12 as you're doing now.

13 The benefits of clean energy
14 development far outweigh those of coal.
15 Without utility-scale, wind, solar, and
16 geothermal, we simply won't be able to meet
17 future energy demands or reduce emissions of
18 CO₂ and other types of pollution necessary to
19 void the most serious impacts of climate
20 change.

21 Without new utility-scale renewable
22 projects, we won't be able to prevent new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sources of global warming pollution from
2 coming online.

3 That's the end of my comments for
4 this evening and, again, WRA will -- and
5 possibly the other organizations in NCARE will
6 be submitting more detailed comments by the
7 deadline and we'll also be participating fully
8 in this whole process. Thanks for what you're
9 doing.

10 MS. HARTMANN: Did anyone else want
11 to come up and make comments?

12 MR. GOEDHART: Got to watch out for
13 this thing. It will bite back once in a
14 while. For the record, Ed Goedhart. I'm the
15 sitting State Representative for Assembly
16 District 36. It covers a third of the State
17 of Nevada. It covers Lincoln County, Nye,
18 Esmerelda, Mineral, and part of Churchill.
19 The reason why there's so few people out there
20 is because you folks have about 98.1 percent
21 ownership. So for the record, I'd like to say
22 I live in the federally-occupied territory of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Nye County.

2 I want to say that I work with
3 nature, too. I'm almost public enemy number
4 one when it comes to a large part of the folks
5 out there. I actually still am in the meat,
6 the milk and beef business and still grow
7 alfalfa, so -- but at the end of the day, we
8 all realize we still need to drink milk and
9 eat beef.

10 And I'm here to say that I'm a
11 hundred percent for this renewable energy,
12 particularly when it comes to solar. I
13 believe if we can't make solar work in Nevada,
14 then there is truly indeed something wrong
15 with America. It really makes me sad. I
16 harken back to the time when we had a
17 President who said we're going to put a man on
18 the moon in ten years and we did it in nine.
19 I still think we as Americans sometimes get
20 overburdened by bureaucracy and, in the name
21 of political expediency, we place it with
22 bureaucracy and we don't have to make a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 decision. And we're losing our leadership in
2 the world.

3 My constituents are asking me every
4 single day, Ed, what are you doing to make
5 sure we in America are going to preserve the
6 environment, protect our national security,
7 and still give us energy? And I think that in
8 this whole discussion, we have to realize the
9 urgency and the graveness of the situation in
10 which we're facing, and I believe we can do
11 both. I believe that we don't have to go
12 overboard and have paralysis by over-analysis.

13 We can still have smart, environmentally-
14 friendly projects and we should get going and
15 get started and start showing people around
16 the world that we in America can still make
17 something happen.

18 Thank you.

19 MS. HARTMANN: Anyone else?

20 (No response.)

21 Well, I want to encourage you to go
22 on the website, to submit comments there that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you may not -- may think of later or mail them
2 in to us. Thank you all for coming. We
3 really appreciate your input. And keep up
4 with the project. It will be going on for a
5 while.

6 (Whereupon, the above-entitled
7 matter adjourned at 7:50 p.m.)
8
9
10
11
12
13

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701