

Transcript

Solar Energy Development Programmatic EIS Scoping Meeting held in Phoenix AZ, June 24, 2008

This Acrobat PDF file contains the transcript of the above referenced Solar Energy Development Programmatic EIS public scoping meeting. If you are interested in reading the scoping comments provided by a specific person or organization at this meeting, you may use Acrobat's search tool to locate the commenter's name/organization within the transcript.

UNITED STATES DEPARTMENT OF ENERGY AND BUREAU
OF LAND MANAGEMENT

+ + + + +

SOLAR ENERGY DEVELOPMENT
PROGRAMMATIC ENVIRONMENTAL IMPACT STATEMENT
(PEIS)
PUBLIC SCOPING MEETING

+ + + + +

TUESDAY, JUNE 24, 2008

+ + + + +

Phoenix, Arizona

Facilitator:
Karen Smith
Argonne National Laboratory

DOUG DAHLE
National Renewal Energy Lab. (NREL)

BRAD RING
Department of Energy

LINDA RESSEGUE
Bureau of Land Management

JOANIE LOSACO
Bureau of Land Management

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

TABLE OF CONTENTS

Public Scoping Meeting

Presentations..... 3

Q & A Session..... 45

Public Comments

Lane Garrett (ETA Engineering)..... 60

Joe McGuirk..... 62

Jim Pickles (Ausra)..... 63

Eric Gorsegner (Sonoran Institute)..... 68

Sandy Bahr (The Sierra Club)..... 71

Adjourn

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 P R O C E E D I N G S

2 MS. SMITH: I want to welcome you
3 to the 6th public scoping meeting for DOE and
4 BLM's solar energy development programmatic
5 EIS. And this is a great turnout. Thank you
6 very much for coming.

7 We are going to have a series of
8 presentations for you this evening and we'll
9 have a brief question and answer period. And
10 then we'll try to get quickly as possible to
11 the part where you guys get to come up and
12 make your comments.

13 So I'd like to introduce the first
14 person to speak this evening is Joanie Losaco.
15 She's with BLM with the Arizona State office
16 and she's the Deputy State Director for public
17 affairs. And here's your microphone.

18 MS. LOSACO: As Karen said I'm the
19 Deputy State Director for communications for
20 BLM in Arizona and I have the privilege of
21 welcoming this full house tonight to BLM
22 Arizona.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 This is the 6th of, I believe, 11
2 of these type meetings that are going on
3 across the West. And we're very glad that you
4 could come and I'd like to thank all of the
5 folks from Department of Energy and Bureau of
6 Land Management.

7 I was here early and I know how
8 much work they put into setting this up.
9 They've done a fantastic job.

10 So, I've been asked to present a
11 welcome on behalf of BLM so let me read that
12 to you now. You almost didn't get to hear
13 this because I thought I lost my glasses.

14 As part of our ongoing efforts to
15 increase domestic energy production and ensure
16 greater energy security, the Department of
17 Energy and the Bureau of Land Management have
18 initiated a joint solar energy development
19 programmatic environmental impact statement.

20 Our agencies believe that preparing
21 a programmatic EIS is a critical step in
22 evaluating the extent to which public lands

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with high solar energy potential may be able
2 to help meet the nation's energy for renewable
3 energy -- the nation's need for renewable
4 energy, excuse me.

5 The BLM already has 130
6 applications in the pipeline for solar rights
7 of way and the energy potential of these sites
8 alone is enormous. 70 billion watts of
9 electricity or enough to power 20 million
10 average American homes on a sustained basis.

11 The joint programmatic
12 environmental impact statement that will be
13 overseen by the Department of Energy's Argonne
14 National Laboratory will assess the
15 environment, social and economic impact
16 associated with solar energy development on
17 BLM managed public lands in six Western
18 States; Arizona, California, Colorado,
19 Nevada, New Mexico and Utah.

20 So, with that I will turn it back
21 to Karen and thank you very much, we
22 appreciate your interest and we hope that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 will continue to be involved in this process.

2 Thank you.

3 MS. SMITH: Thank you, Joanie. The
4 next individual speaking is Brad Ring. He's
5 with the US Department of Energy in the Golden
6 Field Office and he's a project manager there.
7 He'll be talking about DOE's interest with
8 respect to this EIS.

9 MR. RING: Thank you very much for
10 coming today. It really is a pleasure to see
11 everyone here and you -- everyone taking part
12 in this process.

13 I just have a short overview of the
14 DOE -- Department of Energy and the solar
15 program and how it relates to this
16 programmatic environmental impact statement.

17 The DOE goals really are to add
18 energy supply from diverse sources and to make
19 better use of renewable sources. And
20 specifically we're here for the solar program.

21 If we do this with the renewable
22 sources are solar, right away you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 improved quality of the environment and
2 reduces the greenhouse gas emissions.

3 There's also another key point to
4 this and that's national security. If we can
5 -- through this diverse energy source supply
6 of energy we can get a secure sustainable
7 emission free domestic energy supply and
8 that's important for our Country.

9 The solar program under the
10 Department of Energy -- that is our mission.
11 We're right in line with the Department of
12 Energy. And this year in 2008 our budget was
13 about 170 million. That has been a stepped
14 increase in the last few years. It's broken
15 down into two categories; Research and
16 development of 152 million; Market
17 transformation of 18 million.

18 The research and development then
19 is further broken down into photo voltaic,
20 research and development and then
21 concentrating solar power. The photo voltaic
22 is 126 million for this year. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 concentrating solar power has been -- is 26
2 million. Market transformation the 18
3 million. Over 2 million is for this
4 programmatic environmental impact statement.
5 The remainder goes to the solar American
6 initiative which funds photo voltaic's, water
7 heating, other activities that 25 solar
8 American cities development of codes and
9 standards, solar American showcase's training,
10 solar decathlon. Those are transformation
11 activities that are critical for solar power
12 to take hold in this country.

13 The solar program within the
14 Department of Energy, we break it into
15 generally two different technologies. There
16 is lots of sub technologies within those
17 areas. When we break them into these two and
18 one of them is photo voltaic which most people
19 are aware of which converts the solar
20 radiation directly into electricity.

21 The only problem with it at this
22 point -- well there's been major breakthroughs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 in development is that it's relatively high
2 cost. The costs are coming down. We track
3 this based on levelized cost of energy, where
4 the cost of energy that's supplied to the
5 residential or power markets.

6 Concentrating solar power is the
7 other technology that we're looking at and it
8 as it states it concentrates the solar energy
9 into a fluid, either a salt, water or a gas
10 and makes it into a conventional steam cycle
11 generally. There are a few other applications
12 that don't fit within that but that's a
13 general technologies.

14 DOE why are we co-leading the
15 preparation of this environmental impact
16 statement? We really want to focus on utility
17 scale and utility scale means bringing power
18 to tens of thousands of homes. To do that
19 requires intense solar radiation. And the 6
20 States in this programmatic EIS are the best
21 sources of solar power.

22 Solar power as a minimum at this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 point, give or take, the minimum amount
2 requires about 5 acres for each megawatt. So
3 you can see right away a 250 megawatt facility
4 would require about 2 square miles. It would
5 take quite a bit of land for that kind of
6 power generation. And BLM fits right in with
7 this where they manage 119 million acres of
8 federal lands in these 6 State area.

9 What results do we expect? It's
10 really the identification of land that is
11 appropriate for solar deployment both from a
12 technical standpoint and from an
13 environmentally sound standpoint.

14 Establishing the policies that will
15 apply to projects supported by the Department
16 of Energy. Those best management practices
17 that would come out of this. Those would
18 include the identification of important
19 sensitive or unique habitats in the vicinity
20 of the projects and try to the extent feasible
21 minimizing or mitigate the impacts to these
22 habitats.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 It doesn't take away from the fact
2 that each specific project will have its own
3 environmental analysis conducted that will be
4 a complete type of analysis.

5 And the last thing that we're
6 looking at is for better or more accurate
7 models for predicting the potential for solar
8 energy, development and also looking at the
9 power provided, creation of jobs and the --
10 how to mitigate the climate change that's
11 going on at this time.

12 Very short presentation but thank
13 you again, everyone for coming.

14 MS. SMITH: Thank you. The next
15 speaker is Linda Resseguie. She's with the
16 BLM Washington DC office and she is BLM's
17 manager for the solar PEIS.

18 MS. RESSEGUIE: I have to say of
19 the meetings we've held so far this is the
20 first one standing room only, so that's great.

21 The Bureau of Land Management is an
22 agency within the Department of the Interior

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that manages 258 million surface acres. And
2 the map that Karen is showing you simply shows
3 the distribution of BLM's lands across the
4 Western United States.

5 And on volume if it's too loud, not
6 loud enough, someone in the back will let me
7 know I trust? Okay.

8 About 46 percent of BLM's surface
9 acres, over 119 million acres are located in
10 the 6 State study area for the solar energy
11 programmatic PEIS. 12 million of those are in
12 Arizona. And this is simply a zoom in of the
13 6 States study area.

14 The BLM's multiple use mission is
15 to sustain the health and productivity of the
16 public lands for the use and enjoyment of
17 present and future generations. The bureau
18 accomplishes this by managing such activities
19 as outdoor recreation, livestock raising,
20 mineral development and energy production, and
21 by conserving natural, historical and cultural
22 resources from the public lands.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Solar energy is one of many energy
2 resources now being developed or being
3 considered on federal lands. To ensure the
4 best balance of uses and resource protections
5 for America's public lands, the BLM undertakes
6 extensive land use planning through a
7 collaborative approach with local State tribal
8 governments, the public and stakeholders.

9 The result is a set of land use
10 plans that provides the framework to guide
11 decisions for every action and approved use on
12 our public lands. Many of BLM's existing land
13 use plans however do not specifically address
14 solar energy development.

15 There are two points to cover about
16 BLM being involved in the PEIS. The first is
17 executive order 13212 which directs federal
18 agencies to expedite their actions as
19 necessary to accelerate the completion of
20 energy related projects. Also the energy
21 policy act of 2005 sets a goal for BLM to
22 approve 10,000 megawatts of non-hydro power

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 renewable energy on the public lands by 2015.

2 As I mentioned, BLM must manage the
3 public lands for variety of resource uses
4 including energy production. The federal
5 energy mix managed by BLM already includes oil
6 and gas, helium, coal, geothermal, wind and
7 bio mass. And soon it will include utility
8 scale solar.

9 BLM has previously estimated that
10 as much as two thirds of the public lands that
11 it manages may have high potential for solar
12 power energy production.

13 Utility scale solar energy projects
14 on public lands are authorized by BLM as
15 rights of ways in accordance with the
16 requirements of the federal land policy and
17 management act of 1976.

18 All activities proposed on public
19 lands including rights of ways must be
20 consistent with the terms, conditions and
21 decisions in an improved land use plan.
22 Before BLM can approve a solar energy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 development project, it must assess the
2 direct, indirect, accumulative impacts of such
3 development and must consider other resource
4 values, sensitive areas and public concerns
5 all completed through a NEPA process.

6 As Joanie mentioned we have already
7 received more than 130 applications for
8 utility scale solar mainly in Sothern
9 California, Nevada but also in Arizona. And
10 although this meeting is not about specific
11 projects, you will have an opportunity to
12 comment on specific projects as they are
13 processed.

14 Solar applications which have
15 already been filed with BLM will continue to
16 be processed on a case by case basis through a
17 site specific NEPA analysis.

18 These pending applications will
19 move forward on a parallel process with the
20 programmatic EIS. But new applications for
21 solar energy development will be deferred or
22 not accepted until completion of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 programmatic EIS.

2 What are BLM's programmatic goals?

3 Under BLM current solar energy development
4 policy, applications are filed by companies
5 and are processed on a first come first serve
6 basis. Again, each with its own site specific
7 individual NEPA process.

8 BLM believes that by looking
9 programmatically at issues associated with
10 solar energy development, we will be able to
11 develop a more comprehensive, consistent, and
12 efficient program approach by which to address
13 solar energy proposal's on public lands.

14 The programmatic EIS will identify
15 public lands best suited to solar energy
16 development. Mitigation strategies and best
17 management practices to guide future solar
18 energy development and possible additional
19 transmission quarters on BLM lands needed to
20 specifically facilitate solar energy
21 development.

22 BLM believes that this programmatic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 EIS will be key in advancing the understanding
2 about the impacts of solar energy development
3 and how best to deal with those impacts. And
4 that the resulting decisions will better
5 foster and support the nations need for
6 environmentally sound solar energy
7 development.

8 BLM expects to amend land use plans
9 in the 6 State area to adopt the solar energy
10 decisions made as a result of the programmatic
11 EIS. These meetings are an important part of
12 the BLM planning process as well as the NEPA
13 process.

14 We include a proposed planning
15 criteria in the federal register notice of May
16 29th and we are asking for your comments on
17 those criteria during this scoping process.
18 Thank you.

19 MS. SMITH: Thank you, Linda. The
20 next speaker is Doug Dahle. He's with the
21 National Renewable Energy Laboratory in
22 Golden, Colorado and he's a senior program

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 manager there. Here you go Doug.

2 MR. DAHLE: Thank you.

3 MS. SMITH: NREL is assisting DUE
4 and BLM in the preparation of the solar EIS.
5 They bring all the expertise to define the
6 solar resources and the technologies. They
7 made the big posters in the back. And Doug's
8 going to provide an overview of resources and
9 technologies.

10 MR. DAHLE: Welcome. Thanks for
11 coming out this evening to share your thoughts
12 about what we're doing.

13 What I'm going to cover this
14 evening is basically three basic topics.

15 I'm going to give you a brief
16 introduction of the solar technologies that
17 are being considered in this 6 State study
18 area.

19 I'm going to show you basically the
20 geographical information base solar resource
21 that we use in modeling and identifying high
22 potential areas within that 6 State area.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And then a couple comments about
2 some of the federal policies. One in
3 particular that has a huge impact on
4 facilitating deployment.

5 This is sort of the collection of
6 the -- it's hard to see but it's that big
7 parabolic solar trough. We talked -- Brad
8 talked about the idea that there was two basic
9 technologies. Photo voltaics and
10 concentrating solar power.

11 We would characterize there's two
12 sort of categories within that and those that
13 are dispatch-able, we'll talk about that a
14 little bit more. Basically what that means is
15 it actually can deliver energy after the sun
16 has gone down through thermal storage.

17 In the upper left is a picture of
18 the 150 megawatt Kramer Junction facility that
19 was built in Mohave Desert. We consider that
20 commercial technology today. They've been
21 installed in the early 80's and have been
22 running consistently since then. This is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 linear focus technology.

2 The lower right is a -- the second
3 one from the bottom on the right is a fairly
4 new technology developed in Australia and it's
5 called Compact Linear Fresnel Lense Reflector.

6 Instead of the parabolic trough where you
7 have a parabola and tube in all the direct sun
8 hits that tube and the entire thing rotates
9 from East to West.

10 This actually has a technology
11 where the tube that's being hit by sunlight is
12 fixed and the mirrors which are flat and
13 actually less expensive to build, rotate East
14 to West and heat that fixed tube which is
15 filled with water and creates high pressure
16 steam. That's another linear focus.

17 The one in the middle, the third
18 one from the left is called the power tower.
19 If anybody's had the chance to drive I-40 near
20 Daggett California, the power tower goes back
21 to actually the late 70's and early 80's.
22 This is an interesting technology. They

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 either -- what this has -- the situation here,
2 this is a point focusing situation where they
3 have hundreds of what are called heliostats.
4 And it's basically a flat mirror, two axis and
5 attracts the sun and focuses all its energy in
6 the top of that tower in the receiver. Either
7 heating steam directly or more recently the
8 heat molten sol which allows again that
9 thermal storage and we'll talk about that a
10 little bit more.

11 The other point focusing solar
12 technology is the one on the far right. It's
13 called dish sterling engine. In this case it
14 -- parabolic dish focuses all its energy in a
15 point -- about a six inch diameter point.
16 Heats hydrogen and runs a sterling engine.
17 It's not your internal combustion but
18 basically it's a piston type action four
19 cylinder sterling engine and directly produces
20 power. This is not one of those that actually
21 you can store. It basically directs energy,
22 the 25 kilowatt systems.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The next two I'll talk about is the
2 second one from the left is called
3 concentrating photo voltaic. And this is
4 where they actually use lenses either
5 refractive or reflective and basically taking
6 that solar energy and kind of focusing it down
7 into a very small area. And in fact what it
8 creates is, believe it or not, the equivalent
9 of 500 suns.

10 The benefit here is that you don't
11 need as much photo voltaic material to
12 generate the same amount of power. And the
13 most expensive part of photo voltaic actually
14 is the cells. Silicon cells -- silicone,
15 things like that.

16 The last one we'll talk about is in
17 the lower right and that's basically your
18 conventional flat plate photo voltaic systems.

19 Throughout all these we're talking about in
20 terms of the study is basically utility scale
21 systems in the 10 megawatt or larger. What
22 we're not talking about is distributed PV or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 solar systems.

2 In the case of these parabolic
3 trough and the Linear Fresnel Lense, industry
4 isn't even interested unless you're building a
5 50 or 100 megawatt plant in the -- so the
6 distribute generation, the rooftop stuff is a
7 great approach. But the bottom line we're
8 focusing on utility scale development on
9 public lands. Slide.

10 Dispatch-able power I talked about
11 before, here's that large plant in Southern
12 California and what we're hoping -- we're
13 delighted to see that this particular plant
14 actually uses gas -- it's a gas hybrid system.

15 Basically when the sun goes down they're
16 trying to meet the peak of Southern
17 Californians and this delivers power to
18 Southern Californians. And they run a gas
19 turban to generate steam to hit that peak
20 which is usually 7:30, 8 o'clock in Southern
21 California and that's a huge thermal system.

22 The nice thing about it is some of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the R&D money that DOE's providing to NREL is
2 focused a lot and it has been the last couple
3 years on thermal storage. We have a huge
4 boost in funding this year to expand the
5 thermal storage to address the dispatch-able
6 without using fossil fuels.

7 As I mentioned the central
8 receiver, this -- one of the first ones that
9 was ever built out in Daggett, had a huge
10 benefit in terms of the fact that they use
11 molten salt in this particular technology.
12 And one of the record breaking events was back
13 in the early 90's, they had several days of
14 really intense sun and they were able to store
15 this molten sol and they were able to generate
16 24 hours a day for about 5, 6 days until the
17 clouds had come in for several days and they
18 just could not generate enough power to keep
19 up the storage.

20 But, the fact that it could deliver
21 that kind of power over -- everybody thinks
22 with solar, when the sun goes down it's gone.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Well that's not true in the dispatch-able
2 systems. The thermal storage is the trick.
3 Next slide.

4 Here's sort of a depiction of what
5 -- the value of dispatch-able power. You're
6 probably aware that the most expensive power
7 in the summertime, I'm sure as all the public
8 service has a similar thing where they have
9 peak demand. Dollars per kilowatt is most
10 expensive during the summertime, heavy air
11 conditioning loads, things like that. And
12 they typically -- this is sort of a depiction
13 of typically the major utility where they do
14 have this peak in the middle of the summer --
15 middle of the day but often the residential
16 loads drive the overall daily system peak.

17 So you have something early in the
18 morning and usually after the sun goes down.
19 What the dispatch-able power by having thermal
20 storage that's depicted by the green is it
21 allows you to actually carry that power and
22 deliver the high value, high quality resource

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to the utility through past the day's
2 sunlight.

3 The next area of concentrating
4 solar power, this is the non dispatch-able
5 technologies. This is the one I talked about
6 earlier it's called the Dish Sterling. This
7 is the one that focuses on a small area about
8 a six inch diameter, heats up the hydrogen,
9 runs a piston motor, directly produces power.

10 The other concentrating solar power
11 is the concentrating PV. This is basically
12 again, the similar dish it's actually 60 foot
13 in diameter. Focuses on a small amount of
14 solar cells, 500 cells. And they're basically
15 not commercial at this point but a lot of
16 pilot development, in fact our brother, sister
17 labs and Sandia National lab that gets a lot
18 of the R&D as well as NREL is working with
19 these technologies with developers of these
20 particular technologies to get them to a
21 commercial scale. Next slide.

22 This slide, basically is just sort

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of an expansion of that concentrating PV in
2 the systems in their three different types,
3 one refractive. Refractive which is at --
4 reflective if you will that concave parabolic
5 focus on photo voltaic.

6 The other one that I showed in the
7 very first slide was called refractive which
8 is basically similar to you seeing a lens on a
9 florescent tube. It's got the little
10 diamonds. The idea there is to scatter light
11 to reverse that. You take this refractive
12 lens over the PV and focus the energy into a
13 point on the PV cell. This is actually --
14 this particular technology, the refractive
15 technology, there's about four of them that
16 were built for a 5 megawatt PV system that
17 Arizona Public Service operates and has been
18 for the last 10 years.

19 The last is a reflective and
20 optical rod. Very new technology, same
21 situation--it creates this 500 sun affect on
22 cells. The key thing here again is trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reduce the amount of solar cells necessary to
2 generate a certain amount of power. Next
3 slide.

4 The key is you saw Linda's map that
5 showed all the BLM lands. This is the
6 overlay. Actually a first step in a lot of
7 our screening showing the solar resource.

8 And what we're talking about for
9 this study is a term called 5 kilowatt hours
10 per meter square per day. That's a measure of
11 the solar insulation on any given surface.

12 What we do in the modeling that we
13 work with Argon in the study also is we take a
14 layer of transmission systems. And we take a
15 layer of land exclusions. And we take a layer
16 of land slope. A lot of these big systems
17 like the parabolic trough or the Compact
18 Linear Fresnel Reflector or not so much the
19 power job. But basically they need very low
20 slope lands so it is very little horizontal
21 construction.

22 But that's the solar resource for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the BLM lands in this study. Next slide.

2 This is the flat plate systems
3 tracking or fixed. The one on the left--we're
4 excited, this is the United State's largest
5 photo voltaic system every built at Nellis Air
6 Force Base. And Nevada power is buying the
7 power through a lot of incentives, believe it
8 or not. Tax incentives, financial incentives
9 from Nevada power, renewable energy
10 certificates. A lot of under this - each of
11 these States by the way in the 6 State region
12 have what's called a renewable portfolio
13 standard which says a certain amount of the
14 investor owned utilities in that State must
15 arrive percentage by sometime of renewable
16 power.

17 In the case of this particular
18 project, they had a solar set aside and got
19 significant incentives. This thing actually
20 produces power at 2 cents a kilowatt hour
21 because of all the financial incentives.
22 Normally it would be in the area of 10, 12

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cents optimistically.

2 What this does is basically -- most
3 solar systems, PV, are set at a tilt equal to
4 the azimuth of where it's located in terms of
5 its latitude.

6 These actually also track - they're
7 a single axis tracking so they stay at that
8 azimuth level and then they track East to West
9 to increase the power production. It's been
10 operating now for about a year and a half very
11 effectively.

12 Again we're talking about the large
13 scale -- utility scale. I'm just going to
14 show you one in Portugal, the previous record
15 holder. And this is the flat plate that is
16 fixed at a particular angle equal to azimuth.

17 And interesting enough you notice here the
18 vegetation is not having to be scrubbed clear,
19 rolling hills, things like that so it actually
20 works in that kind of environment. Next
21 slide.

22 The solar resource here for photo

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 voltaic is called the global solar resource.
2 What that is, is for photovoltaics they
3 operate on not only the direct normal solar
4 resource which is about 80 plus percent of
5 sunlight. It also uses the diffuse sunlight
6 which is scattered off of clouds, scattered
7 off the atmosphere so it maximizes the amount
8 of solar that's actually accepted by the photo
9 voltaic cells. Next slide.

10 This is sort of getting into some
11 of the federal policy now. One of the things
12 that has had a huge impact on driving the
13 development of solar in this Country is called
14 the solar investment tax credit that was
15 provided by the federal government. It was
16 renewed in the energy policy act of 2005.
17 It's now 30 percent of the investment -- the
18 cost of this solar system can be basically at
19 -- it's a tax credit not a tax write-off.
20 It's a tax credit. Huge benefit.

21 The -- what I'm showing here is
22 basically the levelized cost of energy which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is all the cost of operating over a 25 year
2 life, 30 year life, the construction cost, the
3 site preparation costs. All those costs go
4 into -- bottom line is, what's the levelized
5 cost of energy and what does this thing
6 produce in terms of cents per kilowatt hour.

7 Typically without this investment
8 tax credit we're seeing today the best
9 technology even though the steel prices are
10 going up and driving up the actual
11 installation cost. Something in the area of
12 15, 16, 17 cents without the investment tax
13 credit.

14 The systems that have been built
15 recently using that investment tax credit are
16 now in the 12, 13, maybe high end 14 cent
17 range which is very competitive with utility
18 scale power today from whatever source. I
19 don't know what you pay here in Arizona but I
20 know in Southern California 13 cents is
21 basically what they pay industrial, commercial
22 and residential. So it's a huge impact in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 terms of facilitating solar development. Next
2 slide.

3 One of the models that we'll be
4 using as part as the study is called the ReEDS
5 model. And what it is it's a very
6 sophisticated linear model that was developed
7 by NREL. Hundreds of variables and it looks
8 at, if you will, 350 different discreet
9 regions based on the utility system, the
10 transmission systems, regional transmission,
11 operators, independent system operators, all
12 these -- the ways power is distributed
13 throughout the country. And basically looking
14 at what's there now. Fossil, coal, gas, oil,
15 nuclear, it's basically trying to see where
16 can we -- based on the citing work that we're
17 going to do. It uses that as an input saying
18 how much more solar power can you actually get
19 into the grid considering the existing systems
20 that are out there.

21 This shows basically to that affect
22 that we talked about the investment tax

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 credit. In the 20 year study period what we
2 were projecting with this model, we've run it
3 numerous times, is something on the area of 6
4 gigawatts of power. That's 6,000 megawatts.
5 That's not anything consequential. But going
6 to the next slide with the investment tax
7 credit we're looking at more like 40 gigawatts
8 based on the economic feasibility of solar
9 with that investment tax credit.

10 Unfortunately it expires at the end
11 of this calendar year and we are hopeful that
12 Congress will see the light and make that
13 happen. Because it has a huge impact with all
14 these 130 applications, I don't think they're
15 going to move very far-- if that expires I
16 don't think you're going to see a lot of
17 development. And that's all I have. Thanks.

18 MS. SMITH: Thank you Doug. I
19 don't know if everybody knows but the fans did
20 come on. It's getting better down here so we
21 have a whole slew of seats in the front row
22 and it's not as awful as it was a few minutes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ago. It's getting less awful every second.

2 Okay. So now you've heard from DOE
3 and BLM regarding their perspectives on why
4 they're preparing the EIS, their objectives.
5 And you've heard from NREL overview of the
6 solar energy resources in the 6 State study
7 area. And the technologies that are going to
8 be considered in the scope of the EIS and
9 those are technologies considered to be
10 commercially viable over the 20 year horizon
11 that's being evaluated in the EIS.

12 And now I'm going to quickly go
13 through some slides just to make sure
14 everybody has a common understanding of the
15 process that the agencies are embarking upon
16 and are inviting you to participate in. So
17 we're just going to cover a couple of basics
18 on the National Environmental Policy Act.
19 NEPA.

20 So first of all we're talking about
21 preparing an environmental impact statement.
22 Just so everybody is on the same page, an EIS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is a document that the agencies prepare to
2 evaluate the potential environmental and
3 social economic impacts of some proposed
4 action. And the document first describes what
5 the proposed action is and it assesses the
6 purpose -- describes the purpose and need for
7 the proposed action. It then assesses the
8 potential, environmental impacts, socio-
9 economic impacts, cultural impacts of the
10 proposed action and then ways that those
11 impacts might be mitigated.

12 It also has to evaluate reasonable
13 alternatives to the proposed action and the
14 impacts of those alternatives. It has to look
15 at short and long term impacts, cumulative
16 impacts, commitment of resources that might be
17 incurred by the action.

18 And then importantly it's supposed
19 to describe the public concerns associated
20 with the proposed action and how those
21 concerns were incorporated into the analysis.

22 Why is this EIS being prepared?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Well NEPA requires that federal agencies
2 prepare an EIS when they propose to undertake
3 a major action that could significantly impact
4 the human environment.

5 And both agencies have determined
6 that their proposal to develop these very
7 broad programs that are going to govern their
8 decisions over the next 20 years for solar
9 energy development in a 6 State study area.
10 Those constitute major actions so they
11 determine they needed to prepare an EIS.

12 And we're talking about this and we
13 refer to it as a programmatic EIS and that is
14 distinct from a regular EIS. A regular EIS is
15 one that would be prepared when you have a
16 very specific action and a very specific
17 location.

18 You know all the components of the
19 project and you have a very clear
20 understanding of the activity that you're
21 assessing. And that's not the case here.
22 Instead the agencies are actually looking to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 develop broad programs. They're going to use
2 the NEPA process to understand and define the
3 elements of the program. They're not going to
4 look at individual sites. They're not looking
5 at individual projects. Instead they're going
6 to take a higher level look at what are the
7 types of impacts that generally can be
8 incurred by these technologies.

9 And then similarly what are the--in
10 general terms--the ways those impacts can be
11 mitigated. So it's just clear, everyone's
12 going, this is not looking at individual
13 projects or sites but rather the establishment
14 of a program.

15 What is scoping? Well scoping is
16 the first opportunity in a NEPA process for
17 you the public to become engaged with the
18 agencies. And this is the point where the
19 agencies are trying to collect information to
20 help define what their studies going to
21 consider. And in the kinds of things here,
22 that's what the agencies are seeking input on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So they'd like your input on their proposed
2 action which will describe alternatives that
3 should be considered, the significant issues
4 that need to be analyzed in terms of potential
5 impacts or resources, key resources in the
6 study area.

7 They want your information on
8 possible mitigation measures that could be
9 applicable. As well as if you're aware of
10 data -- possess data that will be relevant to
11 the analysis they'd love to have that shared
12 with them so they can incorporate it into
13 their studies.

14 And then finally they're very
15 interested in understanding who their stake
16 holders are. Who is interested in this
17 activity in this study area and what are their
18 concerns.

19 Now we talked a lot about the
20 proposed action and alternatives so I'll give
21 you a thumbnail sketch of these. And this
22 information comes right out of the notice of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 intent that was published on May 29th kicking
2 off this EIS.

3 NEPA requires that agencies
4 evaluate the option of taking no action at
5 all. That's called the no action alternative
6 and this document would assess no action. But
7 to maybe best understand what no action is
8 let's talk about what the proposed action is
9 and as we've said, both agencies are proposing
10 to develop their own agency specific programs
11 that are going to guide their decisions for
12 the next 20 years with respect to solar energy
13 development.

14 And these programs are going to
15 include policies and mitigation strategies
16 that are related to solar energy development
17 in the 6 State Study Area. In the case of DOE
18 this means that this program they would design
19 would be relevant and would apply to projects
20 that are going to be funded by DOE in the
21 future. And these could be projects on BLM
22 administered lands as well as DOE funded

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 projects on other federal lands, State lands,
2 private lands, even tribal lands.

3 Conversely BLM's program that
4 they're developing is going to apply to the
5 decisions BLM will make about projects on BLM
6 administered lands specifically. And in the
7 case of BLM they're proposing to amend the
8 land use plans in the 6 State study area to
9 adopt this new program.

10 So backing up then, no action.
11 That's the proposed action. So then backing
12 up no action the agencies will not undertake
13 steps to develop these comprehensive programs
14 that will apply uniformly across the study
15 area and rather will continue to evaluate
16 solar energy projects the way they do today on
17 a case by case basis.

18 Now at this time BLM has identified
19 a third alternative that they're going to
20 evaluate. Right now DOE has not identified a
21 third alternative. BLM's third alternative
22 has been called the limited development

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 alternative. And under this BLM would
2 contemplate solar energy development projects
3 but they would be limited to those projects
4 for which there's currently an approved
5 application that BLM determines have complete
6 plans of development.

7 So that's a much smaller a level of
8 solar energy development on BLM administered
9 lands. Far less development then would occur
10 under either the proposed action or the no
11 action alternative.

12 Okay. So you're going to have
13 multiple opportunities through the course of
14 the EIS to be involved. The first opportunity
15 is scoping. It began on May 29th and is going
16 to extend through July 15th.

17 And then we're anticipating
18 releasing a draft EIS for your review and
19 comment in the Spring of 2009 and then a year
20 later, a final EIS, Spring of 2010.

21 Want you to know about public
22 information center that we've developed. It's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on the internet, there's the URL for it. And
2 if you haven't had a look at the site I
3 encourage you to go. There's a lot of good
4 information about this particular EIS. About
5 solar energy resources and technologies. And
6 we're going to -- we also post EIS related
7 documents. The NOI is up there. The slides
8 you're seeing tonight. The posters NREL has
9 created. All those things are available on
10 the website. And we'll keep adding documents
11 as the project progresses.

12 Other project related information
13 announcements and notification or news about
14 where meetings are being held, a schedule is
15 maintained up there. And importantly for this
16 phase there's an online comment form where you
17 can submit your scoping comments. I'll tell
18 you about that a little bit more.

19 And then if you want to sign up for
20 an email notification list then you'll get
21 automated emails that give you updates on the
22 project, tell you about meetings, tell you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 when documents become available.

2 If you've registered online for the
3 meeting or if you gave us your email address
4 when you signed in tonight, we're going to
5 automatically enroll you in that email list
6 unless you tell us you would rather not be.

7 Okay. So at this point we're going
8 to take a quick break. About five minutes to
9 do some questions and answers. And the intent
10 of this is just to -- if you have any
11 questions about what you've heard, do you want
12 clarification on the things that the folks
13 from the agencies have told you. Here's an
14 opportunity, we'll spend a little bit of time
15 on that. We're not going to get into
16 comments. So -- that periods coming up later
17 but rather just questions for clarification
18 and the agencies will answer. And you guys
19 need to turn that one on.

20 Does anybody have a question that
21 they'd like to ask? Okay.

22 Q: Good evening. A question I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have is why not also consider wind resources
2 in geothermal since they have elements in
3 common--specifically the need to transmit
4 generated electricity to the grid?

5 MS. RESSEGUIE: Thanks. We're on,
6 right? Well BLM did complete a programmatic
7 environmental impact statement for wind energy
8 in 2005. So they have been through the
9 process. And that -- if you're interested in
10 that particular one, that website is still
11 active and has all the information about the
12 process that was gone through and the
13 resulting decisions and the record of decision
14 that implemented the outcome.

15 And we are currently doing one for
16 geothermal as well. And that programmatic EIS
17 I believe is in the draft stage. I think the
18 draft EIS was just issued this week, last
19 week. Very recently. And again, there is a
20 website for that if you wanted to -- but each
21 of these is being perused as its own
22 programmatic environmental impact statement.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But we are -- we've completed wind, we're
2 working on geothermal. We're starting solar.

3 MR. DAHLE: One thing I would add
4 is, you see the website up here for solar?
5 The website for the wind if you're interested
6 is basically, substitute solar for wind. It's
7 windeis.anl.com. It's worth taking a look at.

8 Are you guys working on the geothermal as
9 well?

10 MS. SMITH: No, but I think I might
11 have a bookmark for it so if somebody's
12 interested we could try to find that website
13 tonight.

14 Any other questions?

15 Q: Yes. Regarding the
16 specifically solar technologies, will this be
17 limited to these technologies only? Or would
18 a solar technology central plant size that
19 doesn't fit specifically into any of these be
20 allowed?

21 MR. DAHLE: Basically as Linda had
22 identified, the answer is yes. If there is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 technology that can produce cost of power
2 that's competitive and with regard to the
3 investment tax credits, it's very general in
4 terms of solar technology so that would apply.

5 The application is then submitted to BLM once
6 the study period is over, just as the right
7 away applications have been done so far. I'm
8 curious to see if there is another one out
9 there. This is basically where we focused our
10 interest and intention. But always looking
11 for a new way to skin the cat kind of thing.

12 MS. SMITH: And I guess I would
13 just add, the caveat is that if it's a
14 technology that hasn't -- doesn't fit within
15 the parameters of the technologies assessed in
16 the EIS, new analysis will be required. But
17 individual projects are going to get their own
18 analyses. So, you know, we can't say they're
19 all -- any technology that's solar will
20 necessarily fit within the scope of what's
21 been studied.

22 MS. RESSEGUIE: And Karen I also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 wanted to say that, if there is a technology
2 that is close to being commercial and the
3 developer wants it to be included in this
4 PEIS, we need to know about it right away.
5 Otherwise as Karen said, it won't be
6 considered and the PEIS won't apply to it
7 particularly if any of the elements are
8 different from the existing technologies that
9 are being studied.

10 MS. SMITH: It's not that the EIS
11 wouldn't be applicable all it's just that
12 those elements that are completely different
13 from anything that would be analyzed in the
14 EIS would require an equal measure of
15 analysis, so

16 Q : In a general sense for the
17 technologies that require water, what would
18 the demand be? To the extent that they do.

19 MR. DAHLE: Yes. The parabolic
20 trough systems which are the ones that are
21 most common right now, of note there's a 64
22 megawatt plant that just came online in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Southern Nevada. Arizona Public Service has
2 contracted for 250 megawatt plant, huge size.

3 The general use of water, and this
4 is using a wet cooled system which is the
5 convention so far. It's pretty substantial.
6 For a hundred megawatt plant you're looking at
7 750 acre feet per year of water mostly lost
8 through the evaporation of a wet cooled.

9 One of the things that is being
10 developed right now and it's actually
11 convention cooling towers that you see in any
12 kind of power plant. Because basically these
13 are steam turban power blocks in terms that
14 it's thermal to electric, is dry cooling.

15 So now you're looking at a cooling
16 tower. You saw that plant in Mohave. It's
17 pretty low. I think the power block is 20
18 feet high. It's a very serious consideration
19 obviously in this part of the Country in terms
20 of water and we've heard that a lot in every
21 one of these meetings. The dry cooling does
22 exist. It has not been done in terms of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 implementation and I think it's certainly
2 something that we'll be looking at in the
3 study as in a way to mitigate water use.

4 MS. SMITH: Joanie, you were so
5 effective before in getting the fan turned on
6 and it seems to have switched off. Can you
7 try again with your magic?

8 Any other questions? All right.

9 Q: To what extent is the
10 interconnector transmission piece of this in
11 the programmatic?

12 MR. DAHLE: My sense of it -- it's
13 really sort of a conventional issue. The
14 interconnect is basically something that's
15 applied with whoever's going to -- the
16 interconnection is really key to the success
17 of the project and the fact that somebody's
18 going to buy this power. So a power purchase
19 agreement. Invest your own utility, Arizona
20 Public Service for example is going to buy the
21 power from this large plant that would be
22 starting construction I think in a year.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The interconnection agreement is
2 like permitting of any kind of project. I
3 don't think it's really necessarily meets the
4 environmental socio-economic, maybe. But I
5 just don't think it fits within this scope of
6 the EIS.

7 MS. RESSEGUIE: And I'll disagree
8 just a little bit. One of the things we are
9 going to look at as we identify through the
10 screens that Doug explained, the BLM lands
11 with the best potential for solar energy
12 development is whether or not we also need to
13 identify transmission corridors so that, that
14 -- so that those sites can be developed.

15 Of course identifying the corridors
16 is not the same as building a transmission
17 line but that is part of the PEIS process, is
18 to see if additional quarters do need to be
19 identified so that solar energy can be
20 developed on the best lands.

21 MR. DAHLE: One other aspect about
22 -- maybe this is a part of your question is --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the development of this is typically private.

2 And one of the things -- one of the screens
3 that we use when we worked with the industry
4 on sort of the exclusions and things like that
5 was. Obviously -- and I would guarantee it.
6 A lot of the applications are fairly new
7 transmission lines. The private developer is
8 required to build that line to the high
9 transmission which is a lot lower voltage.

10 So if it's the interconnection in
11 terms of building, you know, distribution to
12 the transmission that would be something that
13 would be considered in terms of having to, if
14 you will, right away to get firm that site.
15 So that maybe -- maybe that's closer to your
16 question. That would diffidently be
17 considered.

18 MS. SMITH: Yes. Yes that would.
19 Okay. One more?

20 Q: Is there any synergy between
21 the wind PEIS in terms of results that came
22 out it versus what you anticipate for -- Oh.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'm sorry. Is there any synergy between the
2 wind PEIS in terms of the analysis that was
3 done that could be used to help further the
4 solar study? In other words, you know, are
5 you looking at the same areas? Are there some
6 considerations that would help -- one of your
7 first comments was that you wanted to
8 accelerate solar energy projects.

9 I guess I have questions about a
10 two year period to do a study and, you know,
11 I'm wondering what happened with the wind
12 PEIS, you know, are there any synergies from
13 that that can help this process?

14 MS. RESSEGUIE: The wind PEIS -- I
15 did look this up recently because it was a
16 question that I had. Took about the same
17 time; about 22 months. And while I don't
18 expect that we're going to tier to the wind
19 PEIS, we do have all that information and to
20 the extent that it can be used and
21 incorporated rather than reinvent it. We
22 intend to do so.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. SMITH: I saw one more
2 questions and I think we'll move on.

3 Q: This process of course applies
4 to the federal lands but to what extent are
5 the private lands already being used for this
6 or is it the economics of it require federal
7 public lands?

8 MS. SMITH: Can you repeat that a
9 little?

10 Q: Yes. To what extent are
11 private lands already being used for these
12 activities? The focus of this of course is on
13 federal lands but is it economic -- the sun
14 shines everywhere and there's lots of private
15 land in there. Is federal land vital to the
16 success to this or can it operate and is it
17 operating on private lands?

18 MS. RESSEGUIE: Okay. Doug says he
19 can help.

20 MR. DAHLE: Actually one of the
21 plans -- there was a power purchase agreement
22 just signed by Pacific Gas Electric for this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 compact linear Fresnel lens. It's 180
2 megawatt plan the entire system is being built
3 on private lands.

4 To the best of my knowledge the 250
5 megawatt plant that's going to be built in
6 Arizona is also on private lands. The benefit
7 to obviously the private land owners,
8 obviously some revenues whether it's a lease
9 or whatever or the percentage of generation.
10 But the -- and also the Mohave plants the ones
11 that go back to the 80's were also on private
12 lands.

13 So it actually has occurred and one
14 of the things that -- if you look at it from
15 the perspective of the industry I've got a
16 choice between private land here and BLM where
17 I have to go through the NEPA process. It's
18 kind of a no brainer if you will.

19 But I think that the reality --
20 it's not like the private lands drying up but
21 the BLM and public lands are so much more
22 extensive in terms of area of land that's just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 above all.

2 MS. SMITH: Okay. I think we're
3 going to move on so we can get to your
4 comments.

5 So--how to provide scoping
6 comments. There's three different ways to
7 provide comments. One is tonight at this
8 scoping meeting. Another is to submit
9 comments via the project website and then
10 third way is to send us something by mail.

11 And if you're submitting written
12 comments here's the direct link to the online
13 comment form. You can navigate to it from the
14 home page pretty easily.

15 And if you have supplemental
16 information that you'd like to attach you can
17 attach up to 10 megabytes worth of information
18 to your online comment.

19 Alternatively we've given copies of
20 this paper comment form. It doesn't give you
21 a lot of room but if you are succinct then
22 this will work for you. You can fill it out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and give it to us this evening or fold it up
2 and mail it to the address on the back.

3 Or if you have larger package of
4 materials you can mail them to that same
5 address. It's shown here, the address is on
6 the comment card, it's on the website,
7 multiple places.

8 Tonight if you're going to speak
9 we've got some ground rules. We're going to
10 call speakers in the order that they signed
11 up. And then after those who've registered to
12 speak have had a chance we'll open the floor
13 to anybody else so that anyone who wants to
14 talk will have an opportunity.

15 And when you come up to make a
16 comment we're going to have you stand at the
17 podium. We'd like you to state your name and
18 affiliation if you have one. And we're going
19 to limit comments to three minutes. And if
20 there's time at the end after everybody's had
21 an opportunity to speak, you might be given --
22 you will be given an opportunity to continue

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 your comments if you couldn't finish them in
2 three minutes.

3 We would like to reiterate. We
4 want you to limit the scope of your comments
5 to the programmatic EIS not to provide
6 comments on individual projects or sites.

7 And then if you have written copy
8 of what you're providing tonight in comments,
9 you want to hand that off. You can provide
10 anything to people with a nametag.

11 All the proceedings tonight at the
12 meeting are being captured by a court reporter
13 and transcripts are going to be posted on the
14 website at some point after the last scoping
15 meeting. So all of this material
16 is being recorded in that way.

17 Okay. So I have to do a few
18 housekeeping things. We've got a nifty method
19 for keeping time and I screwed it up last
20 night so hopefully I won't tonight.

21 You have three minutes and at the
22 end of two and a half minutes I'll flash the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 yellow card from over here; that tells you,
2 you have 30 seconds.

3 And then I'll show you the red card
4 when you've hit your three minute limit. And
5 last night I got those transposed at one point
6 so we had to give the guy extra time. So if I
7 screw up with the cards you get a bonus, I
8 repay you. And I have a little stopwatch to
9 keep everybody on track including myself.

10 And because we're having trouble
11 with the temperature in this room usually I
12 leave this projected but if people don't
13 object. If you've had a chance to capture
14 this contact information -- I'm going to turn
15 this heat thing off. Okay. All right. Shut
16 that down.

17 All right. The first person who
18 registered to speak is Will White. Is Will
19 White here? I'm sorry, I thought that was
20 Will White getting up. That was somebody
21 going elsewhere.

22 Okay. No Will White? All right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The next speaker is Lane Garrett.

2 MR. GARRETT: Thank you. Lane
3 Garrett with ETA engineering. I'm also
4 representing quite a few different solar
5 organizations and the industry here in
6 Arizona.

7 We really don't like a delay of a
8 couple months. This is, I mean -- a couple
9 years. But on the other hand when we look at
10 the real problems in Arizona, it's really
11 transmission, transmission and transmission.
12 As a State we're pretty well, pardon the word,
13 constipated. And there's not a lot of
14 available land for transmission that we have
15 the rights.

16 So I would like to see the two
17 years a lot of emphasis on where transmission
18 lines can go and should go and work with
19 corporation commission and other people who
20 can make that happen.

21 Right now, yes. Private lands but
22 I'd like to mention something else. Private

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 land is going to be a thousand -- couple
2 thousand bucks an acre for a power plant. BLM
3 land you're talking equivalent to grazing
4 rights or maybe two or three times higher.

5 So you do have the advantage on BLM
6 land that your cost per acre is less and that
7 can be a couple tenths of a cent per kilowatt
8 hour. So there's a lot of reasons for using
9 BLM.

10 Then I would like to just comment
11 on the ecology effects of using photovoltaics
12 and trackers. Number 1 the drop line you get
13 higher growth of grass. The rabbits love it,
14 the rabbits flourish. Animals we have seen
15 that shade themselves from the sun under the
16 modules and the trackers.

17 Though if there's any affect on
18 wildlife of anything that actually helps, for
19 example I have a tracker on my side yard, we
20 have a birds nest in it every year. They love
21 it. Thank you.

22 MS. SMITH: Thank you. The next

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 individual signed up to speak is Joe McGuirk.

2 MR. MCGUIRK: I'm Joe McGuirk. I'm
3 from Scottsdale Arizona. I consult to
4 investors in solar energy plants and I think
5 one of the questions I ask is what is the
6 surety about solar projects moving ahead? I
7 think there's a recognition of the asset that
8 the BLM land represents and I think it's
9 important to recognize that there are a number
10 of fledgling new companies trying to develop
11 technologies.

12 And that they are dependent on some
13 assurance about support to do that. I think
14 they look to the federal government in a sense
15 and try to gain some sense of optimism about
16 what -- how the federal government is going to
17 help them. I think this is one activity that
18 can do that.

19 They're very disappointed about
20 this hiatus on consideration of individual
21 projects during this two year study. And I
22 think anything that can be done to work up a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 contingency plan that accelerates the PEIS and
2 reaches these conclusions. I think one of the
3 goals of this group as was stated earlier
4 tonight is to accelerate these projects.

5 And, so I would just urge this
6 group to--in their study to look for ways to
7 accelerate their study and to come up with
8 some results that are going to help these
9 entities that are really going to make solar
10 energy work. And I thank you for having this
11 meeting now. Thank you.

12 MS. SMITH: Thank you. The next
13 individual signed up is Jim Pickles.

14 MR. PICKLES: Is that okay for
15 Sound? Okay. Good evening. My name is Jim
16 Pickles. I represent Ausra which is a large
17 scale thermal energy company based in Palo
18 Alto California with a regional office here in
19 Phoenix.

20 Ausra already has a contract with
21 Pacific Gas and Electric Company to build a
22 180 megawatt project in Central California

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 which will provide electricity for
2 approximately 120,000 homes.

3 While this project will be located
4 on private land, we are currently looking to
5 build projects on public land in California,
6 Arizona and throughout the Southwest.

7 Thank you for holding this meeting
8 and for giving us an opportunity to provide
9 comments.

10 Without even considering the
11 problem of existing electricity generation we
12 need to move as fast as possible to be able to
13 satisfy electricity demand growth in an
14 environmentally responsible fashion. SRP and
15 APS for instance are both looking to add more
16 than 250 megawatts of capacity per year. We
17 are in a race in which the finish line is
18 moving away from us so time is of the essence.

19 And without a streamline process to
20 facilitate solar development with the
21 resources to implement it, more coal or
22 natural gas power plant will have to be built

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to meet load growth.

2 While we applaud BLM and DOE for
3 their leadership and helping to promote the
4 development of solar energy on public lands,
5 there are several aspects of the notice of
6 intent that require a vision if the
7 programmatic EIS is going to be a useful
8 document.

9 First it is inappropriate and
10 unnecessary to freeze all new right of way
11 applications during the preparation of the
12 programmatic EIS. The large scale solar
13 thermal industry is just getting started in
14 the United States.

15 Today there are only two trough
16 projects online. 350 megawatts in Southern
17 California and 64 megawatts in Nevada.
18 Freezing new applications will significantly
19 stunt the growth of the industry potentially
20 killing the industry before it effectively
21 gets off the ground. And this is an industry
22 that can provide dramatic economic and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 developmental benefits to the region. Quite
2 apart from the obvious environmental issues.

3 Although about 130 applications
4 have been filed on BLM land in the six States
5 covered by the programmatic EIS. Many of
6 these applications will not result in
7 completed solar projects. Environmental
8 review is just one step in the lengthy process
9 for developing large scale solar projects.
10 And projects can be delayed or cancelled for
11 any number of reasons. So while we recognize
12 that BLM is short on resources, a full freeze
13 on new right of way applications is simply not
14 the answer.

15 Second we would ask the
16 programmatic EIS consider solar energy and
17 transmission development on federal lands
18 other than those managed by the BLM. Many
19 lands have been administered by other
20 agencies and there are many options for using
21 these lands.

22 It would also be useful if the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 process could identify ways to simplify and
2 expedite transmission citing across federal
3 lands.

4 Thirdly, please do not reduce the
5 amount of public land available for solar
6 development.

7 And finally the programmatic EIS
8 needs to provide clear criteria for
9 efficiently processing future project specific
10 environmental reviews.

11 So in conclusion we sincerely
12 appreciate BLM and DOE's efforts and look
13 forward to working with the agencies as they
14 move forward. Thank you.

15 MS. SMITH: I'm going to apologize
16 in advance for not being able to pronounce his
17 last name. The next speaker is Eric -- Eric.
18 Sorry Eric. I can't wait. I can just come
19 back to you there. I'm sorry to make you --
20 all right. You want to go back? Okay.

21 MR. GORSENER: The crutches are
22 just a cheap ploy to engender a query of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 empathy for my remarks.

2 Thank you. I didn't come with any
3 prepared remarks.

4 MS. SMITH: Please state your name.

5 MR. GORSENER: I'm sorry. My
6 name's Eric Gorseger I'm with the Sonoran
7 Institute in the Phoenix office. And like I
8 said I didn't come with prepared remarks but
9 checked the yes box because I wanted to be
10 able to hear what was said.

11 And I do have some categories that
12 -- some comments that fall into two
13 categories.

14 One is that I've not visited the
15 website. But one of the difficulties in
16 evaluating large scale infrastructure is
17 always the challenge of looking at it
18 holistically. There are 130 permits. I think
19 for stakeholders to evaluate this, it would be
20 very helpful to be able to go onto the website
21 and see the spatial distribution of these.
22 Especially in light of the fact that you said

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the bulk of the 130 are in a three State area.

2 This includes not just the site
3 specific but also the potential areas that are
4 going to be needed for transmission. Because
5 as you mentioned, the BLM is a multi-missioned
6 agency. Conservation is a part of it as well
7 as this type of technology.

8 The second -- and you mentioned
9 keeping the remarks in a programmatic way.
10 This is not site specific but it's regional
11 specific. But I think it speaks to the
12 program objectives.

13 In Western Maricopa County and that
14 large crescent of land out West where there's
15 a lot of contiguous BLM land. It also happens
16 to be ground zero for a lot of the energy
17 production in Arizona right now. With Palo
18 Verde, a number of nuclear -- or natural gas
19 plants and quite a bit of transmission that's
20 existing.

21 So I think that area is going to be
22 very critical in terms of interest from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 industry. It's also critical in terms of its
2 conservation status right now. You've got a
3 number of wilderness areas out there. I
4 believe maybe eight that fall into that
5 general area.

6 You've got an area that's at risk
7 from expanding urban infrastructure there of
8 an interface transportation networks off-road
9 vehicles and all the things that go with high
10 growth area.

11 And with that in mind I think just
12 ensuring from the get go that the conservation
13 of these lands are looked at on equal footing
14 with the economic value of the energy
15 production is very important. And that a very
16 high threshold should be set for evaluation of
17 lands that are not previously undisturbed and
18 that are currently in a natural state. That's
19 my comment.

20 MS. SMITH: Thank you. And the
21 next speaker signed up is Sandy Bahr.

22 MS. BAHR: That one was easier to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pronounce right? Thank you. My name is Sandy
2 Bahr. I represent the Sierra Club's Grand
3 Canyon chapter which is the Arizona chapter
4 and we have 14,000 members here in Arizona.

5 First of all I wanted to thank the
6 BLM and DOE for having this public meeting,
7 public hearing and for giving adequate notice
8 and also for the format because I know a lot
9 of agencies have gone to kind of this open
10 house format and I felt like there was some
11 good information provided and also appreciated
12 the opportunities for questions and now the
13 opportunity to comment.

14 The Sierra club is going to provide
15 a detailed written comment so I just wanted to
16 touch up on a couple of things.

17 First of all we have long supported
18 clean renewable solar energy and for an even
19 longer time supported protection of our public
20 lands. In fact about 116 year history, in
21 that area.

22 And we don't think that supporting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 siting of solar means sacrificing our
2 resources. We think that it's not an
3 either/or but a both/and I think through this
4 process we can get there.

5 Also wanted to say up front that we
6 appreciate the BLM looking to identify a
7 certain exclusion areas up front. I think
8 that will make a siting a lot easier and
9 identifying additional sensitive lands in this
10 process is appropriate including a wildlife
11 migration corridors, critical habitat and
12 areas that are part of citizen proposed
13 wilderness.

14 We encourage in the process to give
15 preference to areas that are already
16 environmentally impaired. Makes a lot of
17 sense. Abandoned mine sites, transportation
18 areas, you know, where there has been some
19 kind of existing activity. Also wherever
20 possible give preference to looking at
21 existing roads instead of building new roads
22 because obviously roads have significant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 environmental impact.

2 And I wanted to agree with Linda
3 about the transmission and that the need for
4 looking at transmission as part of this. You
5 could have the best site but, you know, with
6 the transmission has to cut through an
7 important wildlife refuge or wilderness area,
8 you know, you could end up with a big fight
9 over that.

10 And looking where there is existing
11 transmission and existing transmission
12 corridors I think is critical in giving a
13 preference to those areas. And the private
14 site that you talked about earlier that
15 Avengoa proposal, that's exactly what they're
16 doing. So -- thank you.

17 MS. SMITH: Thank you. That gets
18 us through the list of folks who said they
19 wanted to speak this evening. And, so we now
20 can open the floor to individuals who've
21 suddenly become motivated to speak by
22 something they heard.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So, is there anybody else who would
2 make a public comment?

3 UNIDENTIFIED SPEAKER: could you
4 put that slide show up again briefly?

5 MS. SMITH: I don't know. I can
6 try. While I'm trying -- let's see. If
7 anybody else would like to come up. And if
8 anybody who spoke and didn't get to complete
9 their comment feel like they had more to say
10 than the three minutes allowed?

11 Well I'll keep trying to bring the
12 slide up but we can always just get you that
13 information 1 on 1 if you come on up here.

14 UNIDENTIFIED SPEAKER: And save
15 energy.

16 MS. SMITH: Yes. I've got to turn
17 it on to shut it all down anyway but we'll get
18 you that information.

19 And, well I guess that gets us
20 through the meeting this evening and I know I
21 speak for Brad and Linda, thank you so much
22 for coming and sharing your comments with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 agencies and for making this evening a
2 success.

3 Remember you can continue to
4 comment through July 15th through the other
5 mechanisms that I showed you online or by
6 mailing something in.

7 Thank you very much.

8 (Proceedings Concluded.)

9

10

11

12

13

14

15

16

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701