

## **Transcript**

### **Solar Energy Development Programmatic EIS Scoping Meeting held in Riverside CA, June 16, 2008**

This Acrobat PDF file contains the transcript of the above referenced Solar Energy Development Programmatic EIS public scoping meeting. If you are interested in reading the scoping comments provided by a specific person or organization at this meeting, you may use Acrobat's search tool to locate the commenter's name/organization within the transcript.

UNITED STATES DEPARTMENT OF ENERGY AND BUREAU  
OF LAND MANAGEMENT

+ + + + +

SOLAR ENERGY DEVELOPMENT  
PROGRAMMATIC ENVIRONMENTAL IMPACT STATEMENT  
(PEIS)  
PUBLIC SCOPING MEETING

+ + + + +

MONDAY,  
JUNE 16, 2008

+ + + + +

The above-entitled meeting convened at 6:15 p.m. at the Courtyard Marriott, Riverside, 1510 University Avenue, Riverside, California, Karen Smith, facilitator, presiding.

PRESENT:

STEVEN BORCHARD  
Bureau of Land Management

DOUG DAHLE  
National Renewal Energy Lab. (NREL)

JOHN GASPER,  
Argonne National Laboratories

HEIDI HARTMANN,  
Argonne National Laboratories

LINDA RESSEGUE  
Bureau of Land Management

FRANK WILKINS  
Department of Energy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

## TABLE OF CONTENTS

Introduction, Karen Smith, Facilitator.....	3
Presentation Mr. Borchard, BLM.....	4
Presentation Mr. Wilkins, DOE.....	6
Presentation Ms. Ressegue, BLM.....	12
Presentation Mr. Dahle, NREL.....	19
Overview of Presentations, Ms. Smith.....	29
Questions from Participants.....	38
Rules regarding scoping comments.....	54
Scoping comments from Participants.....	55
Closing of comment period, Ms. Smith.....	145
Closing Remarks by Mr. Borchard, BLM.....	145
Closing Remarks by Mr. Wilkins, DOE.....	145
Adjourn	

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 P-R-O-C-E-E-D-I-N-G-S

2 6:15 p.m.

3 FACILITATOR SMITH: Okay. Good  
4 evening. My name is Karen Smith, I'm with  
5 Argonne National Laboratory and we are working  
6 on behalf of DOE and BLM to prepare this  
7 Programmatic Environmental Impact Statement. I  
8 assume you're all here for the public scoping  
9 meeting for the solar energy development PEIS.

10

11 I want to apologize, I guess  
12 there's been some confusion about the start  
13 time and, just to clarify, if any of you are  
14 going to be attending additional scoping  
15 meetings the doors open at 6 and the  
16 presentations begin at 6:30, so if you're  
17 going on our traveling road show plan  
18 accordingly. That's going to be the start  
19 times for future meetings and I apologize for  
20 any confusion this evening.

21 We're going to start off with a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 series of presentations and then we're going  
2 to get as quickly as we can to the main point  
3 of the evening which is your public comments.  
4 And I'd like to introduce for you Steve  
5 Borchard, he is the California Desert District  
6 Office Manager.

7 MR. BORCHARD: Good evening. I see  
8 lots of familiar faces in the audience. Thank  
9 you for coming tonight, thanks for coming to  
10 this public scoping meeting about solar energy  
11 development on BLM-administered lands.

12 As part of our ongoing efforts to  
13 increase domestic energy production and ensure  
14 greater energy security, the Department of  
15 Energy and the Bureau of Land Management have  
16 initiated a joint solar development  
17 Programmatic Environmental Impact Statement,  
18 or PEIS.

19 Our agencies believe that preparing  
20 a Programmatic EIS is a critical step in  
21 evaluating the extent to which public lands  
22 with high solar energy potential may be able

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to help meet the nation's need for renewable  
2 energy.

3 The BLM already has over 125  
4 applications in the pipeline for solar rights  
5 of way in energy. The potential of these  
6 sites alone is enormous -- 70 billion watts of  
7 electricity, or enough to power 20 million  
8 homes on a sustained basis.

9 The joint PEIS that will be  
10 overseen by the Department of Energy's Argonne  
11 National Laboratory will assist the  
12 environmental, social, economic impacts  
13 associated with solar energy development on  
14 BLM-managed public lands in six western  
15 states. Those states are Arizona, California,  
16 Colorado, Nevada, New Mexico and Utah.

17 The joint PEIS will also evaluate  
18 a number of alternative management strategies  
19 to determine which presents the best  
20 management approach for the agencies to adopt  
21 in terms of mitigating potential impacts and  
22 facilitating energy development while carrying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 out their respective agency missions.

2 I'd also like to welcome  
3 representatives from the Department of Energy  
4 and from the Argonne National Labs that are  
5 helping us with this meeting. We appreciate  
6 your interest in this project, your comments  
7 and your continued involvement as we proceed  
8 with our analysis.

9 FACILITATOR SMITH: Thank you  
10 Steve. The next individual I'm going to  
11 introduce is Frank "Tex" Wilkins and Tex is  
12 from DOE in the Solar Energy Technologies  
13 program and he's their team lead for the PEIS.

14 MR. WILKINS: Hi. I thought I'd  
15 give you a little bit of a background in why  
16 DOE is interested in all this, and it all goes  
17 down from two of the basic goals from the  
18 Department of Energy, and one is to add  
19 energy supply from diverse resources,  
20 including renewable energy, and the other is,  
21 although sort of the flip side of that is to  
22 do that in a way that is environmentally

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sensitive. So those of us in the solar  
2 program think that we hit the ball on both  
3 ends in that solar certainly is renewable and  
4 it doesn't create any greenhouse gases when  
5 you're generating the power, so therefore we  
6 think it's environmentally good and it's going  
7 to last a long time without the need for any  
8 fossil fuels.

9 A little bit of background about  
10 our program in solar energy. This year we had  
11 a budget of around \$170 million dollars, but  
12 as you can see on the slide there 90 percent  
13 of that money goes towards research and  
14 development. Basically, what we do is  
15 research and development. We fund industry,  
16 we fund our national laboratories and  
17 universities to do work that reduce the cost  
18 and increase the reliability of solar  
19 technology. We want to get that technology so  
20 that it's competitive with other fossil fuels.

21 We also though have another  
22 category called Market Transformation, which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is about the other 10 percent of the budget  
2 and that we work with a variety of states with  
3 other organizations to try to lower the  
4 barriers of solar energy deployment so that we  
5 can get more solar power into the country, and  
6 this PEIS is part of that market  
7 transformation although it's a small part of  
8 that 18 million.

9 In the solar program there's two  
10 basic kinds of technologies, although there's  
11 variations of each. One, and probably what  
12 you're most familiar with, is photovoltaics.  
13 It goes on houses, it powers the space  
14 shuttles, it also powers phones along the  
15 highways. So generally, mostly what it does  
16 is on very distributed applications. But you  
17 can put modules together in large quantities  
18 and also have it produce a lot of power for a  
19 utility scale project.

20 The other technology is  
21 concentrating solar power, and these tend to  
22 be generally fairly large and by and large the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 application goes towards large scale utility  
2 projects. And indeed it's the large scale  
3 utility projects that this PEIS is really  
4 focused on.

5 So why are we interested in working  
6 with BLM? Well, two things. One, for a  
7 solar project to really work you need to have  
8 a very intense solar radiation and the United  
9 States is blessed, particularly in the South  
10 West the six states that we're dealing with,  
11 has some of the best solar resources in the  
12 world. In fact, when you consider that  
13 there's very large demand centers throughout  
14 that area, it is probably the best in the  
15 world.

16 The other thing though is that  
17 these tend to be large systems. Each megawatt  
18 requires at least five acres so a 125 megawatt  
19 system, which is sort of in the medium size of  
20 some of these things, would take up to 2  
21 square miles so you're talking about a lot of  
22 land and turns out that the federal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 governments owns a lot of land in the  
2 Southwest and most of that is managed by the  
3 Bureau of Land Management and indeed they have  
4 119 million acres in those six states.

5 So we're interested in this because  
6 the sun is here and the land is here.

7 What we hope to get out of this?  
8 Primarily, we want to see what land is  
9 available, both from a technical and  
10 environmental point of view.

11 Now we know the technical end of  
12 it, that means essentially you need the best  
13 solar resource and the land has to be fairly  
14 flat, you want to have a certain amount of  
15 contiguous so that you can get a large plant  
16 in one spot. But the other is the  
17 environmental aspects of it and that's a  
18 little bit foreign to us at DOE but it's  
19 something more in line with what the Bureau of  
20 Land Management works with. And indeed the  
21 point of these meetings and this  
22 environmental, this PEIS, is to get to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 heart of some of those.

2 We also want to establish a policy  
3 that shows, okay, if we at DOE are going to  
4 put some money into some of these projects,  
5 what are the best management practices, how do  
6 we minimize the impact to the environment?

7 It's going to help the developers  
8 that are going to be building these projects  
9 in that what we learn through this they'll be  
10 able to tier off of. That means that when  
11 they do an environmental impact statement on  
12 their particular area for their project they  
13 won't have to learn the things that we're  
14 going to learn through this process.

15 And from the analytical part of me,  
16 I'm an engineer, it'll get us better  
17 information so that we can more accurately  
18 model the impact of solar energy in this  
19 country from the point of view of how much  
20 power it can possibly provide, how many jobs  
21 it can create. This technology tends to be  
22 capital intensive which means it requires a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 lot of people to build it and a lot of people  
2 to maintain it, and also what potential it has  
3 to mitigate climate change because climate  
4 change is becoming more and more of a national  
5 issue and we think solar energy can play a  
6 role in helping us along the right path to  
7 that.

8 FACILITATOR SMITH: All right.  
9 Thank you Tex. The next speaker is Linda  
10 Ressegue from the Bureau of Land Management,  
11 their Washington office, and she is BLMs's  
12 manager for the solar PEIS.

13 MS. RESSEGUE: Welcome. Thank you  
14 all for coming tonight.

15 Probably most of you know this but  
16 let me just say that the Bureau of Land  
17 Management is an agency within the Department  
18 of the Interior that manages 258 million  
19 surface acres of public lands. The slide  
20 simply shows the distribution of our lands in  
21 the Western states and also about 80 million  
22 acres in Alaska.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Of those 258 million acres that we  
2 manage, about 119 million or 46 percent are in  
3 the six state study area for the solar PEIS.  
4 So that slide simply shows you the  
5 concentration where BLM lands are in the six  
6 states that we're looking at.

7           BLM has a multiple use mission and  
8 that mission is to sustain the health and  
9 productivity of the public lands for the use  
10 and enjoyment of present and future  
11 generations.

12           We accomplish this mandate by  
13 managing activities like outdoor recreation,  
14 livestock grazing, mineral development, energy  
15 production and by conserving natural  
16 historical and cultural resources on the  
17 public lands.

18           Solar energy is one of the many  
19 energy resources now being developed or  
20 considered on federal lands. To ensure the  
21 best balance of uses and resource protections  
22 for Americans' public lands, BLM undertakes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 extensive land use planning through a  
2 collaborative approach with local, state and  
3 tribal governments, the public and stakeholder  
4 groups.

5 The result is a set of land use  
6 plans that provide the framework to guide  
7 decisions for every action and approved use on  
8 our public lands. Now BLM has land use plans  
9 on virtually all the land that it manages, but  
10 most of those land use plans do not  
11 specifically address solar energy development.

12 Why is BLM involved in the  
13 preparation of this Programmatic EIS?

14 Well, first of all, there's  
15 Executive Order 13212 issued in May of 2001  
16 that says federal agencies are supposed to  
17 expedite energy-related actions. And also the  
18 Energy Policy Act of 2005 set a goal for BLM  
19 to approve 10,000 megawatts of renewable  
20 energy on the public lands by 2015. That was  
21 a 10-year window and it's going by quickly.

22 As I mentioned, BLM has to manage

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the public lands for resource uses, for a  
2 variety of resource uses including energy  
3 development and, as you know or you may know,  
4 the federal energy mix managed by BLM already  
5 includes oil and gas, helium, coal,  
6 geothermal, wind, biomass and soon utility  
7 scale solar.

8 BLM has previously estimated that  
9 as much as two-thirds of the public lands it  
10 manages may have high potential for  
11 concentrated solar power energy production.

12 Now utility scale solar projects on  
13 BLM lands are authorized by BLM rights of ways  
14 issued under the Federal Land Policy and  
15 Management Act. All activities proposed for  
16 public land must be consistent with the terms  
17 and conditions and decisions in an approved  
18 land use plan so before BLM can approve a  
19 solar energy development project, BLM has to  
20 assess the direct, indirect and cumulative  
21 impacts of such development and they have to  
22 consider other resources values, sensitive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 areas and public concerns, all of this  
2 completed through the NEPA process.

3 Now, as Steve mentioned, we've  
4 already received more than 125 applications,  
5 mostly in southern California, Nevada and  
6 Arizona. This meeting is not about specific  
7 projects but you will have an opportunity to  
8 comment on those projects as they are  
9 processed because the solar applications which  
10 have already been filed with BLM will continue  
11 to be processed on a case by case site-  
12 specific basis with a site-specific NEPA  
13 process.

14 These pending applications will  
15 move forward on a parallel process with the  
16 PEIS. However, BLM is deferring the  
17 acceptance of new applications until the  
18 completion of the Programmatic EIS.

19 What are BLM's programmatic goals?  
20 Under our current policy we process cases on a  
21 first come first served basis so if a company  
22 wants to file an application they identify the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 lands, they come to BLM with their application  
2 and we process it -- each site again with its  
3 own site-specific NEPA.

4 But we think that looking  
5 programmatically at the issues associated with  
6 solar energy development will allow us to  
7 develop a more comprehensive, consistent and  
8 efficient program approach to adjust solar  
9 energy proposals on public lands.

10 We expect that this programmatic  
11 EIS will identify public lands best suited to  
12 solar energy development, public lands that  
13 are not well suited for such development,  
14 mitigation strategies and best management  
15 practices to guide future solar energy  
16 development.

17 The other thing that we are looking  
18 at is the need for possible additional  
19 transmission corridors to specifically  
20 facilitate solar energy development. And I  
21 know that many of you may have participated in  
22 the West-wide corridor PEIS but what we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 finding is that we may have missed  
2 opportunities specifically for solar and we  
3 want to make sure that as we go through this  
4 focus on solar energy development that we  
5 don't miss any opportunities for the  
6 associated transmission corridors that may be  
7 needed on BLM lands to facilitate that  
8 development.

9 We think the Programmatic EIS will  
10 be key in advancing the understanding about  
11 the impacts of solar energy development and  
12 how best to deal with those impacts, and that  
13 the resulting decisions will better foster and  
14 support the nation's need for environmentally  
15 sound solar energy development.

16 We expect to amend land use plans  
17 in the six-state area to adopt the solar  
18 energy decisions made as a result of the PEIS.

19 These meetings are an important part of the  
20 BLM planning process, as well as the NEPA  
21 process. We have included proposed planning  
22 criteria in our Federal Register notice

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 published May 29th and tonight we are also  
2 asking for your comments on those criteria  
3 during the scoping process. Thank you.

4 FACILITATOR SMITH: Okay. Linda,  
5 thank you very much.

6 The next person who's going to  
7 speak is Doug Dahle. He's a senior program  
8 manager with the National Renewable Energy  
9 Laboratory. NREL is providing technical  
10 support to the EIS with respect to defining  
11 the resources, solar energy resources and the  
12 technologies, and I want to mention they made  
13 all the posters along this side of the room.  
14 So Doug is going to talk a little bit on  
15 resources and technologies.

16 MR. DAHLE: It's a pleasure to be  
17 here tonight and nice to see all those that  
18 volunteered their time to join us this  
19 evening.

20 Basically, I'm going to talk about  
21 three basic things. I'm going to give you sort  
22 of an overview of the actual technologies, I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 not going to get into the details of exactly  
2 how they work but give you a perspective on  
3 what these utilities--

4 COURT REPORTER: Can you lift the  
5 mike?

6 MR. DAHLE: There you go. So  
7 anyway I'm going to focus primarily on the  
8 large utility scale applications. We're  
9 looking at stuff that's in the 10 megawatt  
10 range or higher. I'm going to share with you  
11 also sort of the GIS, Geographical Information  
12 System-based solar resources that reside at  
13 NREL. It's used by industry, and some terms  
14 of evaluating opportunities. And then a  
15 couple of slides on basically the federal  
16 policies that have a huge impact on deployment  
17 of solar technologies.

18 Next slide. Basically, I would  
19 categorize the solar technologies as sort of  
20 two key areas, one what's called dispatchable  
21 which means it isn't necessarily operating  
22 only when the sun's up, and the other solar

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 systems without storage. And the storage  
2 dispatchable is the parabolic trough. On the  
3 upper left is one of the slides that you saw  
4 from Tex, this is a parabolic trough plant,  
5 it's been operating for almost 20 years in the  
6 Mojave Desert, hugely reliable, it's basically  
7 commercially available.

8 The power tower, this is something  
9 you may have seen if you've ever driven  
10 through the Daggett area, a large tower with  
11 heliostats focusing on a tower where molten  
12 salt is heated and used to generate power.  
13 And then the more recent is the compact linear  
14 Fresnel reflector. It's a lower cost system  
15 and it basically heats steam.

16 And then what we call the dish  
17 engine. It's a Stirling engine and I'll get  
18 into more details of these, but there's also  
19 concentrating photovoltaics, something that is  
20 not like what you see on roofs of homes, and  
21 then the flat pipe PV that you're probably  
22 most familiar with.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           The concentrating solar power.  
2       Let's talk about the dispatchable power. Here  
3       this is a picture, the upper one is the Kramer  
4       Junction Plant, a solar energy generating  
5       station that's been operating since the mid-  
6       80s. This is about a 75 megawatt plant.

7           The power tower is the lower  
8       picture and basically this is heliostats all  
9       focusing on this tower which has molten salt  
10      and it allows significant storage potential.  
11      In fact, the first operating plant was able to  
12      generate 24 hour solar energy for Southern  
13      California for about ten days before a lot of  
14      cloud cover slowed it down.

15           Next slide. This sort of shows the  
16      value of the storage, basically most  
17      utilities, showing sort of the red line is  
18      basically if you're looking at Southern  
19      California and their peak shows up at seven in  
20      the morning, driven a lot by residential as  
21      well as the start up of industry. The other  
22      peak tends to occur after 7 p.m., something

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 like that and the trick of being able to use  
2 the storage is actually to be able to dispatch  
3 that over their peaks. A solar system, the  
4 sun sets and their peak is afterwards is not  
5 of particular value. This is the most  
6 expensive power is what we see in the evening  
7 if you will and that's when all these gas  
8 turbine generators come on line. The idea  
9 here is to use solar to be able to not only  
10 peak during the middle of day when the solar  
11 resource is the highest but also to be able to  
12 deliver power when they hit their peak later  
13 in the evening.

14 Next slide. Another technology and  
15 this is called the Dish Engine and it  
16 basically is a dish that focuses on one  
17 single, it's point focusing on a Stirling  
18 Engine. It's a very simple device that  
19 basically heats up a fluid, basically drives a  
20 piston if you will and runs a generator.

21 These are basically becoming  
22 commercial now. In fact, there's a large

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 project with BLM where the Stirling Dish  
2 Engine will be deployed and they're typically  
3 in the 25 kilowatt size versus the power tower  
4 we saw there was on the order of 70 megawatts  
5 in the plant that you saw for parabolic  
6 troughs are rather large. In fact, the latest  
7 announcement of a project was for Arizona  
8 Public Services, a 250 megawatt plant in  
9 Arizona with thermal storage of six hours.

10 Next technology, these are all  
11 concentrating photovoltaic systems. There's  
12 three different types. One's called reflective  
13 and it's similar to that dish we just saw and  
14 basically it focuses the sunlight directly on  
15 solar cells. What they say here, and all  
16 three of these technologies have what's  
17 capability is called 500 suns, so the amount  
18 of power that's put out by this PV is 500  
19 times then you'd have to have 500 times the  
20 area to get the same amount of power out of  
21 flat plate photovoltaics.

22 There's a also a refractive where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it's actually a lens on top of the solar cells  
2 refracts the resource and again it's the  
3 equivalent of 500 suns. And the last is a  
4 reflector and an optical rod that's used to  
5 achieve the same thing, but basically high  
6 intensity solar resource focused on these  
7 photo voltaic cells, i.e. the most expensive  
8 part of photovoltaics is in silicon cell and  
9 the idea is can you get more out of it with  
10 these concentrating systems.

11 Next slide. The resource that  
12 provides all of these technologies I've just  
13 talked about it is what's called direct normal  
14 insulation. It's basically the sun rays that  
15 hit, if you had a flat surface, 90 degrees to  
16 that.

17 And here's the resources in the BLM  
18 lands and what we're looking at it is anything  
19 5 kilowatt hours per meter, square per day or  
20 the metric that you use. And we'll be looking  
21 in the Programmatic EIS at all the lands that  
22 have that direct normal insulation resource.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Next slide.    The other the more  
2 conventional systems that you're probably  
3 familiar with is photovoltaic, flat plate  
4 photovoltaic cells. The one on the left we're  
5 proud to say is the largest photo voltaic  
6 plant in the United States. Nellis Air Force  
7 Base built a 14 megawatt plant. These are  
8 flat plate PV but they're also on single axis  
9 to they track the sun through the day. Huge  
10 amount of power.

11           And then the next one I'm showing  
12 you just for purposes of capacity and size and  
13 we're talking greater than 10 megawatts of  
14 photovoltaics. That takes up some land. But  
15 this is one in Portugal, it's 11 megawatts and  
16 you can see the land area. But the interesting  
17 part about it you look at the vegetation  
18 underneath, it's a little bit different in  
19 terms of its impact on the environment.

20           Next slide. This is what we call  
21 the global solar resource, this is the direct  
22 normal that we talked about before plus all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the diffuse light that comes from the sun  
2 scattered through the atmosphere. And it's not  
3 quite as intense but basically this is the  
4 primary resource that we use to evaluate the  
5 potential of photovoltaic systems in terms of  
6 their production.

7 Now we get into sort of the market  
8 factors that have a huge impact on solar  
9 deployment and basically it's the Federal  
10 Solar Investment tax credit, which basically  
11 allows a developer or private owner to take a  
12 30 percent tax credit on the plant. For  
13 example, a 100 megawatt plant today with  
14 thermal storage is probably in the \$550  
15 million dollar range in terms of cost. It's a  
16 huge benefit to the private industry and it  
17 also is a huge benefit in terms of delivering  
18 the lowest cost of solar power. It's expected  
19 to unfortunately expire at the end of this  
20 calendar year.

21 And next slide, just to show you  
22 the impact, this is a modeling tool that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have at NREL that is actually going to be used  
2 in the Programmatic EIS. It's a very  
3 complicated, hundreds of variables, looking at  
4 three or four hundred areas in terms of  
5 transmission, load centers, things like that  
6 and basically this is our projection over the  
7 next 50 years, the model is designed for 50  
8 years, and if the investment tax credit goes  
9 away we're looking at maybe 6 to 7 megawatts  
10 of power that might be developed if that tax  
11 credit is gone.

12 If the tax credit remains, next  
13 slide, you're looking at in the area of 30,  
14 40, 50 megawatts, gigawatts, excuse me, so  
15 that's gigawatts of power that could be  
16 developed with that solar tax credit.

17 And that's all I've got.

18 FACILITATOR SMITH: Doug caught me  
19 off guard because I thought he was going to  
20 go longer than that.

21 MR. DAHLE: No yellow card.

22 FACILITATOR SMITH: No yellow card

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for Doug. Okay. So we've heard from DOE and  
2 we've heard from BLM regarding their specific  
3 interests and objectives in preparing this  
4 PEIS and then Doug's given us a good overview  
5 of the resources of interest and the solar  
6 energy technologies that are going to be  
7 considered in the scope of the EIS.

8 Now I'm going to give you a little  
9 bit of an overview of the NEPA process and the  
10 public scoping process just so that everybody  
11 understands the purpose of this particular  
12 meeting, and then we'll try to get into the  
13 comment period as quickly as possible.

14 So the first question, I want to be  
15 sure everybody has a good understanding of  
16 what is an environmental impact statement and,  
17 very briefly, an EIS is a document that is  
18 prepared by federal agencies in order to  
19 evaluate the possible environmental and  
20 socioeconomic impacts associated with some  
21 proposed action.

22 And so the EIS document will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 identify for the public what the proposed  
2 action is, what the possible impacts of those  
3 actions and ways to mitigate the impacts. It  
4 will also identify any reasonable  
5 alternatives to the proposed action and then  
6 also assess the environmental socioeconomic  
7 impacts of those alternatives and it'll look  
8 at short and long term impacts as well as  
9 cumulative impacts and then address issues  
10 such as the commitment of resources that might  
11 be triggered by a specific project.

12 And then, importantly, an EIS is  
13 used by the agency to solicit input from the  
14 public to consider in their decision making,  
15 and then the document reflects back to the  
16 public how that input was considered and used.

17 Why is this EIS being prepared?  
18 The National Environment Policy Act requires  
19 agencies prepare an EIS when they're  
20 contemplating any sort of major action -- and  
21 major actions are typically defined as those  
22 that potentially could result in significant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 impacts to the quality of the human  
2 environment.

3 And the agencies have determined  
4 that establishing broad policies and programs  
5 that will impact solar energy development or  
6 influence their decisions on solar energy  
7 development in a six state study area over a  
8 20 year period, constitutes a major action and  
9 merits having an environmental impact  
10 statement prepared.

11 And, as we've mentioned before,  
12 this is a programmatic EIS and it's important  
13 to understand the difference between a  
14 programmatic EIS and a regular EIS. A regular  
15 EIS will evaluate a specific action that's  
16 well defined. You usually know where you want  
17 to conduct this activity and what the activity  
18 entails.

19 But we don't have specific actions.  
20 Instead, the agencies are contemplating  
21 establishing new programs, new policies, so  
22 it's a much broader assessment at a higher

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 level. We're not looking at individual sites  
2 or individual projects. Instead, at a general  
3 level we'll be looking at the potential  
4 impacts from solar energy technologies and  
5 potential ways to mitigate those impacts. So  
6 it's very clear that everybody understand the  
7 higher level nature of a programmatic EIS.

8 We're in the scoping process. What  
9 is scoping? It's the first opportunity for  
10 the public to interact with the agencies and  
11 provide input and essentially the agencies are  
12 asking for input on the scope of what they  
13 should consider in this EIS. So they'd like  
14 your input on the proposed action. They'd  
15 like your input on alternatives that should be  
16 considered. They'd also like input on what  
17 the significant issues are that should be  
18 analyzed. What are the big concerns  
19 regarding impacts or resources in the six  
20 state study area that you feel might be  
21 impacted by solar energy development.

22 They want input on possible

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mitigation measures as well as if you're aware  
2 of data, possess data that you would like the  
3 agencies to consider in the analysis, it could  
4 be environmental data, it could be data  
5 regarding the solar energy technologies,  
6 they'd love to get that. And, importantly,  
7 they also want to know who the interested  
8 parties are. What constitutes the  
9 stakeholders for this contemplated action?  
10 And they want to understand what the  
11 individual stakeholders' individual issues and  
12 concerns are.

13 I've mentioned the proposed action  
14 and alternatives and they were described  
15 earlier when the folks from the agencies were  
16 talking but we'll just review this a little  
17 bit quickly.

18 This information comes right out of  
19 the Notice of Intent which was published in  
20 the Federal Register on May 29<sup>th</sup> and first of  
21 all NEPA requires an agency consider the  
22 action or the alternative of taking no action

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at all. And that's called the no action  
2 alternative. And so of course this  
3 programmatic EIS will consider no action. And  
4 the best way to describe or understand what no  
5 action is, is to put it in the context of what  
6 are the agencies proposing. So what is the  
7 proposed action? And in this case, as was  
8 said before, both the DOE and the BLM are  
9 considering establishing new programs that  
10 will govern their decisions regarding solar  
11 energy development for the next 20 years.

12 And these programs will consist of  
13 environmental policies and mitigation  
14 strategies, such as best management practices  
15 and siting criteria, things that the agencies  
16 might require of solar energy development and  
17 the projects that they have to make decisions  
18 about.

19 And for the BLM they're also  
20 considering amending land use plans in the six  
21 state study area so that they can adopt and  
22 implement the program that they would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 establish via this programmatic EIS. So  
2 that's the proposed action and so therefore no  
3 action, just backing up again, is that the  
4 agencies wouldn't establish these overarching  
5 programs and they would continue to make  
6 decisions about solar energy projects on a  
7 case by case basis the way they currently do.

8 Now for DOE, just also to clarify,  
9 the program policies and mitigation  
10 requirements would apply to projects that are  
11 funded by DOE, so these could entail solar  
12 energy projects on BLM lands but also projects  
13 on other federal lands, state lands, private  
14 lands, even tribal lands.

15 For BLM, their program would apply  
16 to the decisions they make about projects  
17 specifically on lands that are administered by  
18 the BLM.

19 And then the BLM preliminarily has  
20 identified a third alternative. Right now  
21 there is not a third alternative identified  
22 for DOE's consideration. The third

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 alternative for BLM has been loosely coined or  
2 named as a limited development alternative and  
3 under that alternative DOE would contemplate  
4 restricting solar energy development to those  
5 projects that are currently awaiting  
6 application approval and only to those  
7 projects for which BLM deems to have a  
8 complete plan of development.

9 So as you can see, the limited  
10 development alternative would be a small set  
11 of projects going forward and no other solar  
12 energy development, and so that would have a  
13 far smaller level of development than would be  
14 possible under either the proposed action or  
15 the no action alternatives.

16 So there's a couple of  
17 opportunities in the EIS for the public to get  
18 involved. Scoping is the first opportunity  
19 and it extends until -- we'll be accepting  
20 comments until July 15<sup>th</sup> close of business.

21 Then there'll be subsequent  
22 opportunities. You'll be able to provide

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 comments on the draft EIS when it's published,  
2 and that's anticipated for the spring of 2009.

3 And then about a year later, the spring of  
4 2010, the final EIS will be published.

5 We want you all to know about a web  
6 site we've developed and the url is shown  
7 here. It's a public information center and I  
8 urge all of you to go take a look at it, if  
9 you haven't already. There's a lot of good  
10 information about the NEPA process, about this  
11 EIS specifically, about solar energy  
12 technologies and the resources.

13 We're going to use that site to  
14 post documents related to the EIS, for example  
15 the Notice of Intent is available at this time  
16 as is BLM's existing solar energy policy. It  
17 has information about the schedule and  
18 importantly in the context of tonight's  
19 meeting there's a comment form where you can  
20 go online and enter your comments.

21 And we'll be providing project  
22 updates. If you're interested you should sign

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 up for the e-mail list, then you'll get  
2 notifications as things develop on the  
3 programmatic EIS.

4 Okay. Now before we jump into the  
5 actual commenting process, both BLM and DOE  
6 have agreed that it would be appropriate to  
7 answer questions at this time. We're just  
8 going to take a few minutes to see if people  
9 have questions about the material that's been  
10 presented and I want to caution you, I'm  
11 going to come around with a microphone.

12 We're not going to be able to  
13 speculate about what decisions the agencies  
14 might make or what their policies will be  
15 like, those will be evaluated in the context  
16 of the EIS, but rather if you have questions  
17 about something that's been presented tonight  
18 you want clarification, questions of that  
19 nature. So are you guys ready? Okay.

20 UNIDENTIFIED FEMALE 1: How many  
21 acres of BLM land are in California only and  
22 what percentage or what proportion of those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 lands are already subject to a pending  
2 application for solar development?

3 MR. BORCHARD: There's 14 million  
4 acres of BLM land in all of California. In  
5 the Southern California desert area and south  
6 coast area there's just under 11 million  
7 acres. Of the 125 applications across the six  
8 states that BLM already has received, 74 of  
9 those applications are in California, 73 of  
10 them in Southern California and one up in  
11 Northeastern California.

12 Approximately 600,000 acres have  
13 been applied for in Southern California.

14 MR. HARVEY: Thank you. I'm Jim  
15 Harvey and my question is what is the BLM  
16 policy for accepting more than one application  
17 for a specific area? For example if an  
18 application is denied would there be a  
19 procedure for a second application to follow?

20 MR. BORCHARD: Up until the Notice  
21 of Intent was published, we were accepting  
22 multiple applications stacked on top of one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 another on the same geographic spot. Now we  
2 have deferred accepting any new applications.

3 I mentioned we had 74 applications, those  
4 are 74 applications in California that we call  
5 "first in line." We have 22 additional  
6 applications that are second in line. In  
7 other words, we have 22 of them that have been  
8 submitted that are sitting on top of other  
9 existing first in line applications.

10 At this time those first  
11 applications in line we're moving forward with  
12 processing, as was mentioned before in our  
13 parallel track, as individual projects,  
14 parallel with this programmatic EIS being  
15 processed as individual applications for  
16 individual projects. Should one of those  
17 applications that's first in line be withdrawn  
18 or rejected by BLM, the second in line  
19 application that has already been filed before  
20 the Notice of Intent was filed would then be  
21 given the opportunity to start a cost recovery  
22 account with BLM and submit a plan of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 development and begin processing as an  
2 individual project.

3 UNIDENTIFIED MALE 1: Is this  
4 working? Did I hear correctly that the  
5 programmatic EIS will consider sites in terms  
6 of sites that are not suitable versus sites  
7 that are best suited?

8 I heard one of the speakers say  
9 that and then I heard something that seemed to  
10 conflict with that. In other words, will  
11 there be an analysis of sites to determine  
12 what areas are good and which areas are not so  
13 good? And if that's the case then how will  
14 those sites that are good be allocated among  
15 future applicants?

16 MS. RESSEGUE: If as a result of  
17 the programmatic EIS we find that there really  
18 is a limited number of acres with high solar  
19 energy potential that are really well suited  
20 to being developed, we would amend the land  
21 use plans for that area to provide for  
22 competitive leasing. So companies could file

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 an application but it wouldn't be treated as a  
2 right of way application like we're handling  
3 them now; it would be treated as an expression  
4 of interest and we would move forward with  
5 competitive leasing of that site so that other  
6 companies could bid on it and essentially it  
7 would go to the highest bidder.

8 UNIDENTIFIED FEMALE 2: I have a  
9 question about the parallel process for the  
10 existing applications. There are best  
11 management practices that are developed  
12 through the programmatic EIS for solar  
13 projects, are the existing applications that  
14 are being processed going to be subject to  
15 those best management practices or just the  
16 new applications that come in after the  
17 programmatic EIS?

18 MS. RESSEGUE: Our goal and  
19 intention is to keep processing the  
20 applications that we have now and we  
21 anticipate that the programmatic EIS is going  
22 to take about 22 months. That's our time line

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for the programmatic. We are not going to  
2 hold up on existing applications and wait for  
3 any outcome of the programmatic.

4 So, in other words, if they've gone  
5 through their own site specific NEPA we've  
6 developed mitigation strategies for that  
7 project, the right of way grant will be issued  
8 with those mitigation measures included.

9 However, if there are still of this  
10 set of applications pending by the time we get  
11 done with the PEIS and issue our record of  
12 decision, then we would be in a position to  
13 adopt the new program and it would be  
14 applicable to all of the rights of ways that  
15 had not yet been granted.

16 MR. GOODWARD: Back here. Hi, are  
17 there plans, or perhaps it's already been  
18 done, for a programmatic EIS for wind farms,  
19 wind energy in the desert and how would that  
20 dovetail with the solar energy projects?

21 MR. BORCHARD: BLM recently  
22 completed a programmatic EIS for wind energy.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1       However, the land use plans in California  
2 were not amended as a result of the decisions  
3 of that programmatic EIS which, you know,  
4 means the decisions in that programmatic EIS  
5 at this point do not apply to the BLM managed  
6 lands in California.

7               However, the best management  
8 practices that were established by that wind  
9 programmatic EIS were incorporated into BLM  
10 policy and that policy does apply to the  
11 agency nationwide.

12               I'm not sure how to explain that  
13 distinction but I guess the primary decision  
14 in that programmatic wind EIS that California  
15 is attempting to unravel and apply to the  
16 California desert, is the decision in the  
17 programmatic EIS that said wind energy will  
18 not be developed on areas of critical  
19 environmental concern, a designation that BLM  
20 applies to certain lands that possess  
21 resources of unique or rare or scarce values.  
22 And there's many ACECs or Areas or Critical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Environmental Concern in southern California  
2 that we're attempting to interpret the policy  
3 and figure out how we're going to apply it  
4 here in the California desert.

5 UNIDENTIFIED FEMALE 3: This  
6 applies to studying solar radiation, this  
7 question and specifically maybe to NREL. What  
8 confidence do you have in your all's ability  
9 to identify the best sites? And also I  
10 noticed that the IM does not really give you  
11 time to analyze your own data, your own MET  
12 Towers. You go in right into a right of way.

13 So I would imagine that you would  
14 study radiation during the time your  
15 application is in process.

16 MR. DAHLE: Good question. One of  
17 the things -- the source of the solar  
18 radiation is based on satellite data and some  
19 very sophisticated modeling that's been done  
20 where we've put up pyranometers to actually  
21 monitor the resource. It is unlike wind where  
22 you actually put up a MET Tower for a year to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 confirm the resource, the evidence and  
2 demonstration of actually putting up  
3 pyranometers, and there a lot of stations all  
4 over particularly in the Southwest, the  
5 confluence is within a few percent in terms of  
6 what we predict.

7           And the other thing in terms of  
8 siting places high potential, one of the  
9 things that is a factor in these high  
10 potential lands in a case of lot of these  
11 technologies, not so much the photovoltaics or  
12 the pole-mounted, is when you're talking about  
13 these large parabolic troughs you're looking  
14 at one to 3 percent slope so you take the  
15 topography as well as the solar resource, a  
16 combination of those.

17           UNIDENTIFIED FEMALE 4:           Thank  
18 you. This programmatic EIS is going to be  
19 looking at the need for 10,000 megawatts of  
20 solar energy produced. Just the 73 projects  
21 in southern California right now with the  
22 600,000 acres, that's 123,000 megawatts. Is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there a consideration within the PEIS as to  
2 whether or not there is actually a need for  
3 the solar energy that would be built, the  
4 plant, because if you can't use it you have to  
5 throw it away so you just dump it. So is that  
6 consideration part of the analysis?

7 MS. RESSEGUE: Thank you. One  
8 point about that 10,000 megawatts is it's  
9 10,000 megawatts of non-hydro power renewable  
10 energy so technically none of it would have to  
11 be solar.

12 We are moving ahead with a lot of  
13 wind energy and geothermal, to a lesser extent  
14 biomass, I don't know what the numbers are  
15 there. But we are pursuing, we are authorizing  
16 other renewable energy resource uses.

17 But BLM is interested in  
18 facilitating solar energy development on  
19 public lands as well; it's just we're trying  
20 to figure out how to balance that use, which  
21 is land intensive, with our other management  
22 requirements. But it is not going to be--

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Karen talked about our limited alternative and  
2 we haven't really put the side boards on what  
3 that might be yet, a limited solar energy  
4 alternative. But I don't think that BLM would  
5 consider no solar energy.

6 FACILITATOR SMITH: In the  
7 interests of time we're going to go on to  
8 another question.

9 MR. WILKINS: Hold on a second.  
10 The way that these solar projects wind up  
11 being built, a developer has to have somebody  
12 who's buying the power, who wants the power,  
13 and generally what happens is a utility will  
14 say they need so many megawatts of renewable  
15 energy or they need so many megawatts, so a  
16 developer will come in and bid on it.

17 So none of these solar projects  
18 will be built unless somebody has said they  
19 are willing to buy the power at a certain  
20 amount and that they want that amount of  
21 power.

22 MR. TRAFECANTY: Hello. My

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 question really relates to the whole issue of  
2 desert solar versus distributed generation  
3 near the need, I call it DGNN. Why don't we  
4 build our solar energy where it's needed?  
5 It's not needed out in the Mojave and places  
6 like that, it's needed in the city.

7 So what I'm saying is when you  
8 build a huge plant you're lining the utility  
9 company's pockets, when you're building a  
10 transmission line you're lining the utility's  
11 pockets. Why don't you just give an incentive  
12 like Berkeley and San Francisco and Sacramento  
13 are doing, and other countries are leading  
14 this whole area as far as solar dependence,  
15 all the manufacturing's going to other  
16 countries.

17 FACILITATOR SMITH: I think that's  
18 a comment and I hope when we have the comment  
19 period you'll come up and make it. We're going  
20 to take just one more question and then we'll  
21 get into the comment period.

22 UNIDENTIFIED FEMALE 5: Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 My question has to do with a portion of the  
2 Federal Register notice which highlighted that  
3 BLM was going to, and I'm going to quote,  
4 "consider an analyzed relevant climate change  
5 impacts in land use plans and associated NEPA  
6 documents, including the anticipated climate  
7 change benefits of solar energy."

8 I was wondering if there was  
9 someone that could elaborate on the basis for  
10 that analysis and what it will cover? What's  
11 anticipated?

12 FACILITATOR SMITH: Well, I guess  
13 I'll try to answer that. I think that what is  
14 meant by that is that in addition to assessing  
15 environmental impacts, adverse environmental  
16 impacts of the solar energy development, we  
17 will also attempt to assess the potential  
18 impacts of solar energy development in terms  
19 of the reduction of greenhouse gas emissions  
20 and, ergo, draw some conclusions or  
21 speculations about the climate change impacts.

22 Okay. I think we're going to move

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on into the comment phase and I appreciate  
2 your taking the questions and everybody's  
3 cooperation.

4 So there are three different ways  
5 that you can provide scoping comments. The  
6 first is to attend a scoping meeting like the  
7 one this evening and make comments. Second  
8 is via the online comment form on the web site  
9 and the third one is via mail. And we will be  
10 accepting scoping comments to repeat through  
11 July 15<sup>th</sup> close of business.

12 If you have written comments to  
13 submit, as I mentioned there is a comment form  
14 on the web site and if you want to attach  
15 files it can take up to 10 megabyte file size  
16 attachment. And the specific address is right  
17 there, but you can navigate to it from the  
18 main page.

19 You can also fill out one of these  
20 paper comments forms that were handed out at  
21 the meeting tonight. Just fill out the front.

22 There's not a lot of room for your comments

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 but if it fits on there and you want to hand  
2 it in to one of us this evening, anybody  
3 wearing a badge will take those. Or you can  
4 take it home and fill it in and then fold it  
5 over, tape it and mail it to the address on  
6 the back. That's the same address that's  
7 showing here. You don't have to limit  
8 yourself to this small space, you can send us  
9 anything in writing to that address, including  
10 supplemental information, reports, other  
11 things you want us to have.

12 And I should mention too when you  
13 registered I mentioned that the web site has  
14 an e-mail list; when you signed in one of  
15 these registration forms if you gave us your  
16 e-mail address you'll automatically be  
17 enrolled in the e-mail list, unless you don't  
18 want to be and let us know that. Okay. So  
19 that's how to submit written comments.

20 And now how to submit your oral  
21 comments this evening, these are the ground  
22 rules. We have asked people to sign up,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 register that they want to speak and we're  
2 going to call them up to make their remarks in  
3 the order in which they signed up. And after  
4 we get through all the people who have signed  
5 up, we'll then open the floor if there's  
6 somebody who has been motivated while they've  
7 been here this evening, decided they do want  
8 to speak, they'll have an opportunity.

9           When you're making your comment  
10 we'd like you to state your name and, if you  
11 have one, your affiliation. And it's really  
12 important that you speak into the microphone  
13 so that our reporter can capture everything  
14 you're saying.

15           We're giving you a three-minute  
16 limit. Because this is such a full house  
17 we're going to adhere to that three-minute  
18 limit and we want you to limit your comments  
19 to the scope of the programmatic EIS and, as  
20 we mentioned, we're no looking at sites,  
21 specific sites, specific projects, so we're  
22 not seeking your input on specific projects or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 specific locations. What we really want is  
2 your input on the programs that these two  
3 agencies are contemplating developing.

4 And if you have any written copies  
5 of your remarks you want to hand those in, if  
6 you have any supplemental material hand those  
7 in to me or one of the other staff working  
8 this evening that would be great.

9 The court reporter will produce  
10 transcripts of the meeting, each scoping  
11 meeting, and then those will be posted on the  
12 web site at some future date. Okay. I  
13 think that's about it and just a few other  
14 little rules. If you're speaking and you see  
15 a yellow card that means you have 30 seconds  
16 left. And then if you see the red card that  
17 means your three minutes is up.

18 If you have more than three  
19 minutes' worth of comments I'm going to ask  
20 you to stop at three minutes when I show the  
21 red card. When we get through everybody else  
22 who's registered or become motivated to speak

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1       you can come back up, but it is a three  
2 minute limit. All right.

3               The first speaker that we have  
4 registered to speak is Wayne Hoffman. And  
5 just to facilitate transition between the  
6 three minutes, after that we have Dai Owen and  
7 Jim Harvey. And if you can just come to the  
8 podium that would be great.

9               The transcripts will be posted on  
10 the web site along with these slides, along  
11 with copies of the posters and other  
12 materials. Go ahead.

13               MR. HOFFMAN: Okay. Good evening.  
14 My name is Wayne Hoffman. I'm the  
15 environmental affairs director for Optisolar.  
16 We're a major PV manufacturer developer  
17 owner/operator of utility scale solar plants  
18 in California. We also manufacture at two  
19 sites, including a major site that we're just  
20 putting together in Sacramento.

21               I have only four or five comments  
22 tonight. I'll be brief. I don't have written

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 comments with me but I will send these in by  
2 the web site and e-mail.

3 My first comment is I do encourage  
4 the folks doing the EIS, the BLM, to consider  
5 broadening your transmission assessment to  
6 include other federal agencies, particularly  
7 in situations where other federal agencies,  
8 such as the National Park Service, might  
9 already be impacted by an existing  
10 transmission line and where proposed  
11 transmission corridors may skirt a national  
12 park or wilderness area or military base. We  
13 think that these situations in particular are  
14 important.

15 I encourage you to set definitive  
16 time lines for project level EIS applications  
17 in the PEIS and from the submittal of the pod,  
18 the application, through the rod process so  
19 that we have an understanding of how long this  
20 process is going to take.

21 I propose that you consider a more  
22 flexible approach to the use of certain

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 environmentally sensitive areas in the PEIS,  
2 in particular the DWMA's, the Desert Wildlife  
3 Management Areas. We have fairly definitive  
4 scientific evidence that some of these areas  
5 don't have solid science behind them.

6 We think that there are specific  
7 measures that could be taken to enable a  
8 proposed applicant to actually survey and  
9 evaluate the science with regard to the  
10 existing density and the sensitivity of  
11 certain DWMA areas, certainly in some cases  
12 along the borders. We know for a fact that  
13 there are certain areas where the Mojave  
14 ground squirrel conservation areas have been  
15 designated as basically off limits for solar  
16 and we know for a fact that some of these  
17 areas have very weak science behind them.

18 I would finally like to encourage  
19 you to recognize key differences between how  
20 PV projects, photovoltaic and CSP thermal  
21 project approvals are approved, especially as  
22 it relates to the CEC AFC process. That's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 totally different process where the submittal  
2 of the AFC is basically equivalent to the  
3 submittal of an EIS. In the case of a solar  
4 project, a PV project where we do not have CEC  
5 approval -- and I'll wrap this up in just a  
6 second -- we encourage you to consider a  
7 different approach. Thank you.

8 FACILITATOR SMITH: Thank you. I  
9 appreciate that you mentioned if you make  
10 comments orally at the meeting you can  
11 certainly comment online or send in written  
12 comments later.

13 MR. OWEN: Hi, my name is Dai Owen  
14 and I am here to represent enXco. We are a  
15 renewable energy company that develops, builds  
16 and manages renewable energy projects. In the  
17 more than 20 years since enXco was established  
18 in 1987, our focus on renewable energy has  
19 made us an industry leader in wind project  
20 development and a premier provider of  
21 operation and maintenance services throughout  
22 North America.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   EnXco understands the inherent  
2 impacts associated with development of solar  
3 energy projects on public lands and seeks to  
4 design, build and own the most effective solar  
5 projects in the best locations.

6                   We understand the desire of BLM to  
7 defer new solar applications at this time in  
8 order to avoid inconsistencies between the  
9 PEIS and future projects. However, we're  
10 greatly disturbed at how the closure was  
11 executed without prior knowledge by interested  
12 parties.

13                   The PEIS will be most effective if  
14 it flexibly identifies where solar projects  
15 and transmission for solar can and should be  
16 located, facilitates future site-specific  
17 environmental reviews to make them more  
18 efficient and predictable, articulates best  
19 management practices that can be followed by  
20 our solar developers, allows near term  
21 investment in solar energy projects,  
22 coordinates any designation of additional

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 transmission corridors with RETI and a similar  
2 WGA renewable energy zone project, refers in  
3 detail to local and regional land use plans --  
4 a good example of this was the Forest Service  
5 road-less rule PEIS -- amends land use plans  
6 to facilitate environmentally responsible  
7 solar development and ease the backlog of  
8 applications.

9 EnXco further believes that the BLM  
10 should continue to process pending right of  
11 way applications for solar energy using  
12 transparent criteria.

13 The PEIS should consider solar  
14 energy and transmission development on federal  
15 lands other than those managed by the BLM.  
16 The BLM should explain how future site-  
17 specific environmental reviews will be  
18 facilitated by the work of the PEIS.

19 The PEIS and BLM's land use plans  
20 need to be flexible documents that can adapt  
21 to changes like climate change, technology  
22 improvements and shifting priorities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'd like to close by saying that we  
2 believe the PEIS is a unique opportunity to  
3 evaluate the benefits and environmental issues  
4 surrounding solar development and to bring  
5 people together to promote such development in  
6 the most environmentally sustainable manner  
7 possible.

8 We look forward to continuing to  
9 work with the BLM and other interested parties  
10 in the PEIS. Thank you.

11 FACILITATOR SMITH: After Jim  
12 Harvey we will have Holly Gordon and Janet  
13 Gilmore.

14 MR. HARVEY: Thank you. I'm Jim  
15 Harvey with the Alliance for Responsible  
16 Energy Policy and we're in Joshua Tree,  
17 California.

18 I'd like to start by expressing on  
19 behalf of the Alliance for Responsible Energy  
20 Policy our most sincere gratitude to all the  
21 participating agencies for initiating this  
22 much needed solar development programmatic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 EIS.

2 AREP believes the utility scale  
3 solar exploitation of our public lands in the  
4 six western states identified in this PEIS is  
5 the most critical issue facing the future  
6 sustainability of these very precious land  
7 resources. A comprehensive and transparent  
8 study process is imperative and most  
9 appreciated.

10 One of the most pressing concerns  
11 the alliance has regarding utility scale solar  
12 projects, as with all other renewable energy  
13 and transmission projects, is what appears to  
14 be a lack of regard for the sanctity of  
15 wilderness areas and critical environmental  
16 concern areas by some of the project  
17 applicants.

18 A representative for Solar  
19 Millennium, for example, has expressed  
20 frustration over the premise that these land  
21 designations might preclude them and others  
22 from financially feasible utility scale

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 development. The Los Angeles Department of  
2 Water and Power has applied for a right of way  
3 to build a 500 kilovolt transmission line  
4 right through the middle of an ACEC on the  
5 western edge of Joshua Tree National Park of  
6 all places.

7 Incidentally, LADWP has deceptively  
8 named their project Green Path North. There  
9 also seems to be some confusion among some of  
10 the members of the environmental working group  
11 participating in the California Renewable  
12 Energy Transmission Initiative, the RETI  
13 process, regarding the BLM's development  
14 eligibility recommendation for these land  
15 designations.

16 AREP strongly urges that these  
17 designated and proposed wilderness areas and  
18 ACECs receive uncompromised complete  
19 protection from development and first and  
20 foremost be excluded from any eligibility for  
21 solar, wind and transmission line development.

22 We must draw a line in the sands of these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 critical land designations and BLM should make  
2 these recommendations on behalf of we, the  
3 people, the true owners of these lands.

4 I realize the solar PEIS has  
5 excluded these designations from the study but  
6 I feel you should be aware of the debate  
7 that's occurring outside of the study.

8 I would also like to enlighten the  
9 participating partners of this PEIS on what we  
10 perceive to be very solemn and somber feelings  
11 among an extremely large segment of the  
12 members of the national environmental  
13 organizations regarding the sacrifice of  
14 pristine publicly owned lands for solar  
15 exploitation.

16 AREP learned this first hand when  
17 addressing the Sierra Club California Nevada  
18 Desert Committee just last month. Our  
19 presentation was very critical of the Sierra  
20 Club and NRDC staff's apparently willingness  
21 to accept that scraping and permanently  
22 destroying potentially over a million acres of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 undeveloped pristine public lands may be  
2 necessary. AREP believes no environment  
3 should be compromised or sacrificed under a  
4 questionable banner proclaiming to save it.

5 Our message was very well received  
6 by the club members and activists who  
7 overwhelmingly agreed. I'll stop here and if  
8 I could pick up later, thank you.

9 FACILITATOR SMITH: Okay. Is  
10 Holly Gordon here?

11 MS. GORDON: Good evening. My name  
12 is Holly Gordon, I'm vice president of  
13 legislative and regulatory affairs for AUSRA.  
14 AUSRA is a large-scale solar thermal energy  
15 company based in Palo Alto, California. We're  
16 a privately funded start up company that has  
17 been in the United States for about 18 months.

18 We have a contract with Pacific Gas  
19 and Electric Company to build a 180 megawatt  
20 project in central California. Although this  
21 project will be located on private land we are  
22 currently looking to build projects on public

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 land in California and throughout the  
2 Southwest.

3 Thank you for holding the meeting  
4 and for giving us an opportunity to provide  
5 comments.

6 While we applaud BLM and DOE for  
7 their leadership in helping to promote the  
8 development of solar energy on public lands,  
9 there are several aspects of the Notice of  
10 Intent that require revision if the  
11 programmatic EIS is going to be a useful  
12 document.

13 First, we feel that it is  
14 inappropriate and unnecessary to freeze all  
15 right of way applications during the  
16 preparation of the programmatic EIS. A large  
17 scale solar thermal industry is just getting  
18 started in the United States. Currently there  
19 are only two trough projects on line, one in  
20 Southern California and one in Nevada.  
21 Freezing new applications will significantly  
22 stunt the growth of the industry, potentially

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 killing the industry before it effectively  
2 gets off the ground.

3 We recognize that BLM is short on  
4 resources. However, a full freeze on right of  
5 way applications is simply not the answer.

6 In response to the question that  
7 was asked earlier regarding the 73  
8 applications that had been filed in Southern  
9 California, keep in mind that getting a right  
10 of way and getting approval on BLM land is  
11 just one small part of building these  
12 projects. There's hundreds of hoops that we  
13 have to go through to get these projects off  
14 the ground and I assure you that those 73  
15 applications will only result in a few  
16 projects.

17 Second, BLM and DOE should allow  
18 solar energy development with appropriate  
19 restrictions on environmentally sensitive  
20 lands. There's no reason to categorically  
21 exclude ACECs or Areas of Critical  
22 Environmental Concern in other special

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 management areas that may be vital to solar  
2 energy development.

3 As BLM has repeatedly recognized,  
4 a certain level of development can occur in  
5 managed areas with appropriate best management  
6 practices and mitigation measures.

7 Third, the programmatic EIS should  
8 consider solar energy and transmission  
9 development on federal lands other than those  
10 managed by BLM. Many lands administered by  
11 other agencies, such as the Department of  
12 Defense and the Forest Service, may be  
13 suitable for solar energy development. A  
14 holistic approach is especially important for  
15 transmission siting.

16 The programmatic EIS should review  
17 other lands, or least set forth processes for  
18 doing so with other agencies.

19 Finally, the programmatic EIS needs  
20 to provide clear criteria for efficiently  
21 processing future project-specific  
22 environmental reviews. In particular an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 explanation of how future site-specific  
2 environmental reviews will be truncated due to  
3 the programmatic EIS as necessary.

4 We sincerely appreciate BLM and  
5 DOE's efforts and look forward to working with  
6 the agencies as they move forward. Thank you.

7 FACILITATOR SMITH: After Janet  
8 Gilmore if she's here, is that Janet Gilmore?  
9 Okay. Next speaker signed up is John  
10 McFarlane. After John we'll have Lee Wallach  
11 and then Rachel Gold.

12 MR. MCFARLANE: Good evening.  
13 John McFarlane, AREP, Joshua Tree, California.  
14 The Alliance for Responsible Energy Policy  
15 came into existence in January 2008 to study  
16 the impact of the 2005 Energy Policy Act. It  
17 quickly became apparent to us that we must  
18 look beyond single projects that add  
19 centralized energy generation and more long  
20 distance transmission lines. Therefore, we  
21 are very grateful the Department of Energy and  
22 BLM have acknowledged a very real need for a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cumulative review of the projects planned and  
2 applied for within California and other  
3 western states. We thank you for opening this  
4 transparent process.

5 In the small town of Yucca Valley  
6 we have seen a great deal of dissent over  
7 development projects, much more over the last  
8 two years. Citizens are becoming more and  
9 more aware that development does not always  
10 mean growth. Sometimes development tears  
11 down much more than it builds up.

12 When I hear citizens arguing  
13 against growth and development from an  
14 emotional base I think back on some scientific  
15 theories that I've read. I find myself  
16 wanting them to think back to 1960 and "Chaos  
17 Theory" by Edward Loren. While trying to  
18 describe systems that are apparently  
19 disordered, the chaos theory actually ended up  
20 finding the underlying order in apparently  
21 random data.

22 I'd like to quote a scientist who

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 knows much more about the theory than I. "The  
2 flapping of a single butterfly's wing today  
3 produces a tiny change in the state of the  
4 atmosphere. Over a period of time, what the  
5 atmosphere actually does diverges from what it  
6 would have done. So in a month's time a  
7 tornado that would have devastated the  
8 Indonesian coast doesn't happen, or maybe one  
9 that wasn't going to happen does." Ian  
10 Stewart, "The Mathematics of Chaos."

11 I believe the theories within  
12 quantum physics and string theory which have  
13 deepened our understanding of the inter-  
14 connectedness of the universe, point out the  
15 very serious depth with which we must study  
16 the actions we take today in regard to the  
17 effects they may cause tomorrow.

18 If we are not really sure of the  
19 long term effects, we should not take the  
20 actions.

21 Most inventions and medicines on  
22 earth have been developed after observation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and imitation of nature and natural processes.

2 If we cleared raid and build our solar fields  
3 across the Mojave Desert in the rush that we  
4 appear to be in, what will the impact be on an  
5 extremely vulnerable ecosystem? Some reports  
6 indicate that in excess of a million acres  
7 will be built out in the next five years.  
8 There has never been such a rapid build up of  
9 any ecosystem that size.

10 Clearly, there is a legitimate  
11 reason that deserts are included as a part of  
12 the overall balanced ecosystem of the world.  
13 I do not think that we have taken the proper  
14 time and effort to study the issues. I would  
15 hate to see so much destruction of a vital  
16 ecosystem which might be the laboratory where  
17 we develop much-needed heat and drought  
18 resistance systems and processes.

19 Another thing to think about when  
20 you cleared raid desert growth is, in  
21 California because of overgrowth and  
22 pollution, whenever we get rid of native

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 plants we get non-native grasses come in which  
2 cause greater wildfires.

3 FACILITATOR SMITH: I've lost  
4 track of where I am. Lee? Okay.

5 MR. WALLACH: Hi, thank you. My  
6 name is Lee Wallach. I represent a company  
7 called Solel, a solar thermal company here. I  
8 also wear a couple of other hats that are  
9 critical. I am on the board of the League of  
10 Conservation Voters, I am with the Inter Faith  
11 Environmental Council, and have been an  
12 environmentalist and a very active  
13 environmentalist for the better part of my  
14 life.

15 I really appreciate and applaud BLM  
16 and DOE for taking this step. It's a critical  
17 step, it's an important step for all of us  
18 here. This is also a unique opportunity for  
19 us to be able to move forward in a way that  
20 would have been difficult had you not taken  
21 this opportunity to go forward.

22 This is going to allow us to really

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 outline the future of energy for our country,  
2 where transmission lines obviously land will  
3 be. This will also allow us in this country  
4 to substantially solidify where this country's  
5 going and allow us to substantially reach for  
6 investment and provide for really some  
7 certainties in the process which is  
8 important. If we are going to have  
9 investments in renewable energy, we need to  
10 have some reliability in the process and this,  
11 I think, will allow for that and that's  
12 critical.

13 We see that in some countries, we  
14 haven't seen that yet here and we do need that  
15 desperately.

16 The reviews being efficient and  
17 predictable will also allow us to move forward  
18 and create more renewable energy and  
19 investment. So I applaud the process moving  
20 forward.

21 I would also say, and I've heard  
22 this earlier, I am generally concerned that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are worried about an onslaught of renewable  
2 energy projects. I've heard number, seventy  
3 this, seventy that. I think that we have to  
4 be very, very careful about not reaching far  
5 enough. We have an opportunity here to  
6 replace coal-burning, even clean coal-burning  
7 plants. We have an opportunity here to move  
8 towards a renewable future and if we don't  
9 take that opportunity we're going to be in  
10 real trouble.

11 Some of the comments you've heard  
12 from some of my colleagues are critical. I  
13 think it is unnecessary to freeze existing  
14 right of way applications or new right of way  
15 applications I should say. I don't think we  
16 need to do that. A better policy choice is to  
17 pick certain areas that are critical and maybe  
18 freeze them there.

19 I think you should have appropriate  
20 restrictions on environmentally sensitive  
21 lands. There's other things that will be  
22 outlined through this process, other areas of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 concern. I hope that you make appropriate  
2 changes looking at these written comments and  
3 our comments throughout this week as you're  
4 going through the process, not waiting for the  
5 process to end but maybe change them on the  
6 front end. Thank you.

7 FACILITATOR SMITH: Next speaker  
8 is Rachel Gold and then I'm going to have to  
9 make my apologies in advance, I'm going to  
10 mispronounce the names I'm sure. After that  
11 we'll have D'Anne Albers and then Donna and  
12 then Larry Charpied? That got a laugh.

13 MS. GOLD: Good evening. My name  
14 is Rachel Gold and I'm here representing Solar  
15 Millennium. We're a solar thermal developer  
16 that is based in Berkeley, California. We've  
17 been in California since 2005 and we've been  
18 developing solar thermal projects throughout  
19 the Southwestern United States.

20 Thank you for the opportunity to  
21 comment this evening and I want to thank BLM  
22 for putting forward this PEIS. I think it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 going to be a helpful process for us to  
2 evaluate the benefits and environmental issues  
3 of solar development and bring people  
4 together to promote such development in an  
5 environmentally sustainable manner.

6 We believe that the PEIS can and  
7 will be a useful document only if it flexibly  
8 identifies where solar projects and  
9 transmission lines can and should be located,  
10 allows for near term investment in solar  
11 energy projects, makes future site-specific  
12 environmental reviews more efficient and  
13 predictable, coordinates with state programs  
14 and initiatives and sets forth clear processes  
15 for dealing with new developments and changes.

16 I'd also like to reiterate the  
17 comments of my colleagues that we believe it's  
18 inappropriate and unnecessary to freeze all  
19 new right of way applications and that there  
20 are other policy choices that might reflect  
21 the needs of BLM and DOE who are short on  
22 resources to avoid inconsistencies with their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 PEIS in future management prescriptions and  
2 allow for some new applications in certain  
3 restricted areas.

4 We also -- I'm pleased to hear  
5 tonight that pending right of way applications  
6 will continue to be processed and I'd like to  
7 encourage BLM to process those on a  
8 reasonable, consistent and using a  
9 transparent process.

10 I'd also like to reiterate that we  
11 think that it is appropriate for some solar  
12 energy development with restrictions to occur  
13 on environmentally sensitive lands. And on  
14 that note I understand that the NOI excluded  
15 the entire California desert conservation area  
16 and that this was an error. I'd like to make  
17 sure that that is corrected.

18 We don't believe there's a reason  
19 to categorically exclude other special  
20 management areas that might be vital to solar  
21 energy development as BLM has repeatedly  
22 recognized a certain level of development can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 occur in managed areas with appropriate best  
2 management practices and mitigation measures.

3 And I'd like to conclude by saying  
4 that we just want to be a part of creating a  
5 PEIS that is comprehensive, transparent and  
6 flexible and that the PEIS should expedite  
7 site-specific NEPA reviews in the end and  
8 recognize that solar energy development and  
9 environmental protection can work together and  
10 provide clear standards and processes for  
11 stakeholders and cooperating agencies. Thank  
12 you.

13 MS. ALBERS: Good evening. My  
14 name is D'Anne Albers and I'm a resident of 29  
15 Palms, California and a desert associate for  
16 Defenders of Wildlife.

17 Defenders of Wildlife has over half  
18 a million members, of which 100,000 members  
19 are in California. Many of those members are  
20 here tonight and we will be attending other  
21 meetings. We will be submitting extensive  
22 written comments as well.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           First, I would like to thank the  
2 Bureau of Land Management for their open  
3 process in the renewable energy rush in the  
4 Mojave Desert. Also for realizing that there  
5 is a need for an analysis of the cumulative  
6 impacts of these power plants.

7           The Bureau of Land Management has  
8 the enormous task of managing our public  
9 lands. Much of that land is in our desert  
10 regions. Those of us who live or recreate in  
11 the desert are aware of the fragile balance of  
12 life in the desert.

13           It is home to numerous plants and  
14 animals that are found nowhere else. These  
15 plants and animals have adapted over thousands  
16 of years to this harsh environment. They are  
17 facing enormous pressure now from encroaching  
18 development, military expansion, renewable  
19 energy plants and climate change.

20           Defenders of Wildlife strongly  
21 supports renewable energy. However, we urge  
22 that in the quest for renewable power the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 design of these projects be in the most  
2 sustainable manner possible.

3           There's much left to be done with  
4 the conservation of power, providing tax  
5 incentives for personal business use, the  
6 utilization of commercial rooftop photovoltaic  
7 installations, siting energy plants close to  
8 where it will be used and the use of the most  
9 current technologies available.

10           Defenders thanks BLM for  
11 identifying areas for exclusion as a starting  
12 position. We also thank BLM for halting this  
13 rush to turn the Mojave Desert into a sea of  
14 mirrors without stakeholder input.

15           As a participant in the Renewable  
16 Energy Transmission Initiative, Defenders has  
17 seen the rush to get these areas designated as  
18 acceptable for renewable energy plants. This  
19 process is occurring without the participation  
20 of local governments, county governments,  
21 U.S. Fish and Wildlife Service and many other  
22 concerned groups.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   Defenders           understands           the  
2           California goals of the Energy Act of 20  
3           percent renewable by 2010, but what would  
4           society say if we were to look back on the  
5           placement of our renewable energy resources,  
6           like solar in the Mojave, and see that their  
7           site selection and transmission lines had  
8           destroyed the very plants, animals, habitats  
9           and quality of life that we are trying to  
10          protect. Thank you.

11                   FACILITATOR SMITH:           Diane and  
12          Larry? Okay. I guess they're not here and  
13          I'm sure I mispronounced their names.  
14          Charpied? And they're not here? Okay.

15                   The next speaker signed up is  
16          Dennis or Denise Trafecanty. Anybody here?  
17          I apologize for-- Thank you.

18                   MR. TRAFECANTY:           Hi, I'm Dennis  
19          Trafecanty. I came up here from San Diego,  
20          found out that there's a meeting in El Centro  
21          but that's okay I'm still here.

22                   You said it right, Linda, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 public own these lands and you can be assured  
2 that we will be here to track the studies that  
3 are being conducted, the public, I am the  
4 public, I am not affiliated. We do have a  
5 foundation down in San Diego. You know, when  
6 you get all these developers and utilities  
7 together I could sense a lot of aggressiveness  
8 in this room to get things going. Let's line  
9 the pockets like I just said.

10 Down in San Diego our utility's  
11 trying to run right through the gut of the  
12 largest state park in California with a  
13 transmission line. We don't think it'll  
14 happen but they're trying to do it. So  
15 transmission is like an antiquated technology  
16 in my mind, and I believe in a lot of others.  
17 The two things that really helped us during  
18 the disastrous October 2007 wildfires were  
19 UCSD's, University of California San Diego's  
20 combined heat and power plant and some Mexican  
21 power.

22 The nuclear power plant was down,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the transmission lines had to be shut down.  
2 The other transmission line we have in south  
3 county was down. You know we really need power  
4 wherever we're using it and it's not out in  
5 the Mojave Desert.

6 I really thank you for having these  
7 meetings. You're going to be seeing us at all  
8 these meetings, several of us. I hope to  
9 bring the desert experts because we're going  
10 to insist that you really look at what's going  
11 on in the desert, including the wildlife and  
12 the ecosystems and the flora and the fauna.  
13 We've been through it for two years.

14 By the way, I hope when you  
15 consider solar systems that you look to see if  
16 they can even work, like the Stirling thing to  
17 me is a big joke. There's six of them, I  
18 started working on this project two and a half  
19 years ago. There's six of them in Sandia Labs  
20 in New Mexico. The same six are still there  
21 and we're talking here in this room about  
22 commercial production of six units. Southern

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Cal. Edison's backed away from it. SDG&E is  
2 using it to try to get a power line through  
3 the state park.

4 What about our water resources?  
5 What about all that you're going to use to  
6 clean these mirrors and stuff like that? What  
7 about all the chemicals that you're going to  
8 use to put that steel in the ground? That's  
9 going to affect the wells. It might dry the  
10 wells up.

11 You're going to be using natural  
12 gas during down days. I've heard that said.

13 What about greenhouse gas  
14 emissions? In some cases with the steel  
15 you're putting in the ground and the plants  
16 that you're going to be generating power,  
17 you're going to have a negative greenhouse gas  
18 emission effect.

19 Consider Bill Powers' San Diego  
20 smart energy 20/50 plan in San Diego. That's  
21 how you get distributed generation near the  
22 need. We don't need transmission lines any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 more.

2 FACILITATOR SMITH: Thank you.  
3 The next two speakers are Ann Garry and then  
4 Sara Viola.

5 MS. GARRY: Good evening. My name  
6 is Ann Garry and I'm with the Alliance for  
7 Responsible Energy Policy, Joshua Tree,  
8 California.

9 It's hard for some of us to  
10 comprehend the fragile ecosystem of the  
11 desert. General George Patton used many parts  
12 of the Mojave Desert as training grounds and  
13 military camps. After 50 years many of the  
14 old traces of tank tracks are gradually  
15 vanishing but in some areas, such as flats  
16 that rarely flood, the scars are clearly  
17 visible.

18 As a former employee of Joshua Tree  
19 National Park I am a witness to this impact.  
20 While traversing one of our tortoise plots in  
21 the Pinto Basin, we came across those same old  
22 tracks and were amazed to find that they were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 50 years old and still very visible.

2 The Alliance for a Responsible  
3 Energy Policy, AREP, would like to take this  
4 opportunity to thank the BLM for the  
5 transparent process the agency has  
6 established.

7 Additionally, we are most  
8 appreciative that BLM listened when we and  
9 others expressed the need for BLM to conduct a  
10 comprehensive and cumulative analysis of the  
11 socioeconomic and environmental impacts of all  
12 the applicants for concentrated solar and wind  
13 farm projects.

14 AREP also appreciates BLM's wise  
15 decision to defer new applications until your  
16 comprehensive assessment is completed.

17 AREP is seriously concerned that  
18 BLM's evaluation of alternative management  
19 strategies will fail to give just and due  
20 consideration to the outstanding potential  
21 that distributed energy and demand side  
22 management can have upon the need for remote

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 concentrated solar projects that necessitates  
2 new and dangerous transmission lines.

3 AREP remains deeply concerned about  
4 BLM's stated agenda to expedite environmental  
5 analysis for site-specific projects in the  
6 future and too quickly deploy solar energy  
7 projects.

8 The concerned citizens of AREP and  
9 many others you will hear from are not  
10 impeding responsible progress as some have  
11 suggested. Instead, we seek to educate and  
12 implore the BLM and the DOE to consider what  
13 current policy seeks to expedite as 1970s big  
14 solar and 19<sup>th</sup> century transmission technology.

15 Simply stated, these archaic technologies do  
16 not constitute progress or a responsible  
17 energy policy. Thank you.

18 MS. VIOLA: Sara Viola of the  
19 Alliance for Responsible Energy Policy, Joshua  
20 Tree, California. This is Part B.

21 AREP is cognizant that BLM's charge  
22 does not include developing national energy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 policy. However, BLM has partnered with DOE  
2 and is therefore in approximate position to  
3 implement policy change and development.

4 Consequently, AREP encourages BLM  
5 to modify its cumulative study to include a  
6 comparative analysis of the proposed 125  
7 concentrated solar plants with the equivalent  
8 output of photovoltaic energy generated at  
9 point of use.

10 BLM must consider all of the cost,  
11 damage and risk associated with the 125  
12 proposed concentrated solar plants and the  
13 necessary transmission lines such as (1)  
14 destruction of the desert ecosystem; (2)  
15 depletion of water resources; (3) the  
16 viability of air cooling exhaust steam; (4)  
17 fossil fuel burning at hybrid solar plants;  
18 (5) soil and reclamation issues; (6)  
19 greenhouse gas emissions from production and  
20 transporting of materials; (7) overall effect  
21 on the national and planetary ecosystems; (8)  
22 cost and efficiency of transmission lines; (9)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 increased fire risk and (10) light heat funnel  
2 effect. These concerns will be addressed in  
3 more detail in our written submission.

4 Such a comparative analysis is very  
5 likely to prove that substituting urban and  
6 suburban photovoltaic energy generated at  
7 point of use for remote concentrated solar  
8 plants can and will meet Arizona, California,  
9 Colorado, Nevada, New Mexico and Utah's energy  
10 needs while fully mitigating all environmental  
11 impacts associated with the remote solar  
12 energy production.

13 AREP encourages BLM to keep in mind  
14 that Germany and Spain are currently  
15 installing 2,000 megawatts of photovoltaic  
16 energy per year.

17 AREP is confident that when BLM  
18 completes not only a cumulative but  
19 comparative analysis, the agency will conclude  
20 that current energy policy is taking our  
21 nation in the wrong direction. Current energy  
22 policy favors an archaic system of remote

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 generation and long distance transmission.  
2 This approach is costly, dangerous and  
3 inefficient. Generating energy at the point  
4 of use, or very near point of use, is less  
5 expensive, less dangerous and kinder to the  
6 surrounding environments than overall  
7 ecosystems currently in our nation's growth,  
8 and the photovoltaic industry suffers from a  
9 lack of venture capital.

10           Entrepreneurs need assurances that  
11 photovoltaic demand is strong enough to  
12 justify their investment. When energy policy  
13 favors locally generated energy systems,  
14 photovoltaic demand will increase rapidly,  
15 thus investment capital will follow. The  
16 competitive spirit of our marketplace will  
17 figure out ways to rapidly provide less  
18 expensive and more efficient photovoltaic  
19 systems to consumers. New local energy  
20 generating products will move from research  
21 and development laboratories to our homes and  
22 buildings at the rapid pace this nation is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 capable of achieving. Thank you. Maybe I'll  
2 continue later.

3 FACILITATOR SMITH: Thank you.  
4 Okay. The next speaker signed up is Josef  
5 Eichhammer and then that will be followed by  
6 Roger Johnson. Is Josef here?

7 MR. EICHHAMMER: Yes, I'm here.

8 FACILITATOR SMITH: Okay. Great.

9 MR. EICHHAMMER: Hello, I am Josef  
10 Eichhammer from Solar Millennium and I am  
11 heading up our subsidiary here in the U.S. As  
12 you can probably hear I am German and our  
13 parent company is from Germany.

14 We are in the solar business for  
15 ten years but our people have been involved in  
16 building solar power projects already 20 years  
17 ago and it has been mentioned before that  
18 there is a Kramer Junction power plant and the  
19 Harper Lake power plant in the Mojave Desert  
20 and our engineers have been involved in these  
21 projects already 20 years ago.

22 Currently but after these 20 years

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there was less development in the U.S. and we  
2 have concentrated on other countries, like in  
3 Spain, and it is remarkable I think to see  
4 that especially European companies, us but  
5 also others and especially Spanish companies,  
6 have developed an industry for solar thermal  
7 power plants.

8 There's a big industry in heat  
9 collection and demands in the steel  
10 structures, in steam turbines, for example,  
11 Siemens has a backlog of 30 turbines currently  
12 and I think, and as you have rightly said at  
13 the beginning, you have the best solar  
14 resource of the world and why cannot this  
15 industry be kept in this country and built up  
16 in this country.

17 You have made a couple of comments  
18 regarding the energy policy. I mean you have  
19 a renewable portfolio standard in many states  
20 like in California, in Nevada, in Arizona for  
21 example but also in others, and I think the  
22 conclusion to enact this renewable portfolio

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 standard was to make a change. There is a  
2 climate change and I think we have to address  
3 it to a certain extent and this technology can  
4 address it.

5 And there have been made comments  
6 with respect to the footprint of such power  
7 plant. Our power plants, solar thermal,  
8 parabolic trough power plants have a footprint  
9 which are smaller than for example wind power  
10 plants or, for example, hydro-power plants.  
11 So I think we can provide sustainable and also  
12 economical power for this country.

13 I would like to conclude also with  
14 a question. I mean everybody speaks about  
15 climate change and how we shall address that.

16 I think we cannot close our eyes and  
17 therefore I think this is a good solution --  
18 parabolic trough power plants which can also  
19 have a very beneficial effect on the economy  
20 but also on the climate.

21 One thing I would like to address  
22 in addition and Rachel from our company has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 taken already the very good points so would  
2 like to say one thing at the end. We see a lot  
3 of speculation, we see lots of speculators out  
4 there who are making applications and we both  
5 would like to see that the process  
6 differentiates for that and that there is a  
7 differentiation between the real projects and  
8 the speculators. Thank you very much.

9 FACILITATOR SMITH: Thank you. We  
10 have Roger Johnson next. Then Laura Crane.

11 MR. JOHNSON: Good evening, I'm  
12 Roger Johnson with the California Energy  
13 Commission and the energy commission is going  
14 to be working as a cooperating agency with the  
15 BLM and DOE on this programmatic EIS so I just  
16 wanted to identify myself tonight and to make  
17 that known and just to advise the group that  
18 essentially we will be working to coordinate  
19 all the efforts that are going on in  
20 California today.

21 The RETI program was mentioned this  
22 evening, that's the Renewable Electric

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Transmission Initiative, looking to identify  
2 renewable resource areas in California and  
3 those transmission projects that would be  
4 needed to access those resources. So that's  
5 going to be important I think input into the  
6 programmatic EIS.

7 And we are currently getting  
8 letters signed to become a cooperating agency.

9 We worked with the BLM on the programmatic  
10 EIS for the corridors and we thought that was  
11 a good effort where we were able to bring  
12 together a working group in California of  
13 state, federal and local agencies to advise  
14 the BLM on that effort.

15 And right now we have an MOU with  
16 BLM for those large solar projects that are  
17 thermal projects in California, 50 megawatts  
18 and larger. We have an MOU that we are using  
19 to jointly process those projects through the  
20 federal NEPA and state CEQA process. So we'll  
21 have consistency on those permits and all the  
22 projects will be evaluated similarly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So the energy commission will be  
2 attending the meeting tomorrow night and the  
3 one in Sacramento and we'll provide our oral  
4 comments in Sacramento. Thank you.

5           FACILITATOR SMITH: Okay. Next is  
6 Laura Crane. Then after Laura, Nicole Panter.  
7 And John Simpson.

8           MS. CRANE: Good evening. My name  
9 is Laura Crane and I am the Mojave Desert  
10 project director for the Nature Conservancy.  
11 I appreciate the opportunity to offer some  
12 brief scoping comments on the solar  
13 Programmatic Environmental Impact Statement  
14 being prepared by Argonne National Laboratory  
15 on behalf of the Departments of Energy and  
16 Interior.

17           The Nature Conservancy will also be  
18 submitting more detailed written comments for  
19 the record.

20           The Nature Conservancy is an  
21 international conservation organization  
22 dedicated to preserving the plants, animals

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and natural communities that represent the  
2 diversity of life on earth by protecting the  
3 lands and waters they need to survive.

4 We've long been committed to  
5 working with public and private partners to  
6 accomplish our mission using science-based  
7 methods and a collaborative non-  
8 confrontational approach.

9 We own property and conduct desert  
10 biodiversity projects in all of the areas  
11 affected by the solar generation and  
12 transmission facilities which are the subject  
13 of this impact assessment.

14 Our interest in this assessment  
15 flows from a concern that lands, waters and  
16 the biodiversity we value and support may be  
17 adversely affected by the proposed large  
18 increase in the public lands devoted to solar  
19 energy projects and associated transmission  
20 facilities, especially if these projects are  
21 not carefully sited and designed to avoid or  
22 minimize negative impacts.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           The Nature Conservancy does support  
2 increasing the share of electricity generated  
3 by solar and wind sources. We recognize that  
4 the deserts of the Southwest, and especially  
5 the Mojave Desert, are uniquely suited to the  
6 efficient generation of electricity from the  
7 sun. And we believe that the development of  
8 renewable energy facilities and transmission  
9 can be done in a manner that is compatible  
10 with protection of biodiversity.

11           So the majority of our comments  
12 will be submitted in writing, but I wanted to  
13 just highlight two comments in the scoping of  
14 this programmatic EIS. And the first one is  
15 that there are a whole host of land uses in  
16 the desert that are impacting wildlife and  
17 biodiversity, including but not limited to  
18 expansion of military bases, off road vehicle  
19 recreation, commercial and residential  
20 development. So evaluating utility scale  
21 solar energy projects in context with these  
22 other land uses is necessary to provide an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 accurate assessment of their cumulative  
2 impacts.

3 The second thing that I just wanted  
4 to highlight was that we would like the entire  
5 mitigation hierarchy, as defined by the  
6 Council of Environmental Quality, to be  
7 utilized which may include one or more of the  
8 following: avoiding, minimizing, rectifying,  
9 including repairing or restoring, and  
10 compensating for the impact by replacing or  
11 providing substitute resources or  
12 environments.

13 We believe important lands and  
14 associated water sources should be avoided.  
15 Where adverse effects are inevitable, those  
16 effects should be minimized on site first with  
17 off site mitigation considered as a last  
18 resort.

19 Finally, I just want to applaud BLM  
20 for the job they've been doing. Thank you  
21 very much. I got the red card and I didn't  
22 even see the yellow one.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 FACILITATOR SMITH: I'm not  
2 outrageous I don't think. Nicole Panter?  
3 Okay. So we'll go on to John Simpson.

4 MR. SIMPSON: Hi, I'm John Simpson  
5 and I'm representing the Desert Communities  
6 Association of Realtors Energy Policy  
7 Committee.

8 We'd like to commend the BLM for  
9 undertaking this PEIS because we feel it's  
10 very important that you consider the  
11 cumulative impacts not only of all of these  
12 utility scale solar projects, but all of the  
13 other uses as just previously mentioned  
14 impacting the desert.

15 We would like you to, along with  
16 evaluating the environmental impacts, consider  
17 the extreme negative impacts that these  
18 projects put on property rights and property  
19 values.

20 Utility scale solar projects and  
21 other utility scale projects in the desert  
22 remove recreational spaces, they remove open

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 spaces and they encourage the use of eminent  
2 domain for transmission lines. All of these  
3 have extreme negative impacts on property  
4 values throughout California because  
5 recreation spaces and open spaces and View  
6 Sheds are an important part of property value  
7 and very important to the California  
8 lifestyle.

9 At the same time that resources  
10 would be going toward creating utility scale  
11 projects, public land resources, financial  
12 resources, tax incentives, etc., none of those  
13 resources would be available to localized  
14 generation incentives for rooftop solar  
15 backyard wind projects.

16 We would like you to evaluate the  
17 comparative analysis that shows why utility  
18 scale projects should be getting the lion's  
19 share of resources at the expense of localized  
20 generation projects which would favor property  
21 values. We will be submitting more extensive  
22 comments in writing. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 FACILITATOR SMITH: The next  
2 speaker is Dave Kisor. Maybe I'm really  
3 pronouncing it, K-i-s-o-r. Okay. Gary Lupo?  
4 Gary Hatfield? Do you still want to speak?  
5 Great. After Gary Hatfield we'll have Gerald  
6 Hillier.

7 MR. HATFIELD: Good evening. My  
8 name is Gary Hatfield. I'm a hunter/  
9 conservationist and a member of the Society  
10 for the Conservation of Bighorn Sheep, Quail  
11 Unlimited. Both of those groups are  
12 volunteers for California Fish and Game and we  
13 do provide water for wildlife in the desert.

14 I've listened tonight to some very  
15 good comments by the Defenders of Wildlife and  
16 the Nature Conservancy and I think it's  
17 interesting that these are groups which are  
18 traditionally anti-hunting but, like them, I  
19 have a true love of biodiversity in the  
20 desert, particularly the open spaces. I've  
21 been on top of many, many mountains and one of  
22 the things that does my spirit the most good

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is to have an unfettered view of horizon to  
2 horizon.

3 And I can't help but comment. I  
4 didn't know quite what was going to be going  
5 on here tonight. The president of the Sheep  
6 Society told me about the meeting and he was  
7 unable to attend so I'll keep my comments  
8 brief.

9 The desert bighorn sheep is a  
10 sensitive wildlife. It absolutely has to be  
11 able to have fairly unfettered migration  
12 routes so that rams from one herd can mix  
13 their genes with ewes from another isolated  
14 range. Without this we'll lose the sheep.

15 We've lost natural water and the  
16 migration routes are of course compromised by  
17 the freeways and transmission lines. The  
18 sheep site is very concerned about a big  
19 project planned out near I believe it's Nipton  
20 or Baker where it's great habitat and  
21 migration routes for bighorns.

22 In closing and with tongue firmly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 placed in cheek I was kind of surprised to see  
2 all you developers here, but I shouldn't be,  
3 and for the guy from Germany I would like to  
4 just comment, not to single you out but being  
5 around the West a lot I've met tourists,  
6 predominantly from Germany and they love it  
7 out here because they want to get on a road  
8 that goes to nowhere and see nothing. In  
9 fact, they've asked me for directions. Where  
10 can I go and drive and not see anything?

11 Well that's what we're going to  
12 lose and that's all I'm going to say tonight.  
13 Thank you.

14 MR. HILLIER: Good evening. I'm  
15 Jerry Hillier and I'm here this evening  
16 representing the Quad State Local Governments  
17 Authority. It's an association of seven  
18 counties that are located in four of the  
19 states covered by the PEIS, three in  
20 California, one in Arizona, two in Nevada and  
21 one in Utah. We will be submitting written  
22 comments but I did want to make our presence

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 known tonight and express at least some  
2 concern. We organized originally around  
3 endangered species issues so we really do have  
4 a stake in the consideration of this.

5 Over the years I've been involved  
6 from a variety of sources in renewable  
7 energies and I find that, like the wind,  
8 they're loved in the abstract and abhorred and  
9 despised in the specific. And the comments  
10 here tonight I think reflect that.

11 The greatest concern of our  
12 authority is the impact on critical habitat  
13 for desert tortoise. We're currently awaiting  
14 Fish and Wildlife Service issuing the draft  
15 revised recovery plan and we don't know for  
16 sure what that's going to say although we  
17 probably have some good hints from the  
18 administrative drafts.

19 The point of this is that almost  
20 without exception the best siting for solar is  
21 also the best habitat for desert tortoise and  
22 while we have had our differences with Fish

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and Wildlife Service over what's the best way  
2 to recover tortoise populations, it's fairly  
3 obvious that in many cases solar and desert  
4 tortoise recovery are probably not going to be  
5 compatible.

6           Whatever direction the PEIS takes  
7 it is going to have to, I think, specifically  
8 address mitigation and confirm that indeed the  
9 critical habitats that have been designated  
10 probably will be off limits. You see on your  
11 maps there that at least for starters that  
12 they are there, but I think that that has to  
13 be explicitly addressed.

14           Several people here tonight, and it  
15 has been interesting listening to the  
16 comments, have suggested a comparative, that  
17 the EIS include a comparative analysis and I  
18 believe that that really would be time well  
19 spent. There are a lot of development issues  
20 going on in the desert, military expansion  
21 being one of the most prominent of late here  
22 in California.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           But I think all of those cumulative  
2 impacts have to be gathered together and  
3 looked at along with solar. And the other is  
4 to actually look at other alternative energy  
5 sources. I'm not going to sit here and  
6 proclaim coal or nuclear would be better, but  
7 they may be more efficient and certainly in  
8 terms of decisions to commit desert resources  
9 development, all sources need to be put on the  
10 table. And you'll get written comments.

11           FACILITATOR SMITH:        Thank you.  
12 The next speaker is David Woodward and then  
13 Mary Humboldt.

14           MR. GOODWARD:        Hello. I'm David  
15 Woodward and I am with San Bernardino Valley  
16 Audubon Society. When you come this late in  
17 the comments there's nothing new to say really  
18 so rather than a canned presentation or a  
19 prepared presentation I'll just throw some  
20 random thoughts out.

21           The footprint of a power plant  
22 project, whether it's wind or solar or coal,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you can't talk about the footprint in just  
2 terms of where the buildings are. Several of  
3 the other people preceding me talked about the  
4 essence of the desert being open space,  
5 untrammelled open space, and I can't emphasize  
6 that more. It's a precious resource that is  
7 hard to quantify and certainly hard to put a  
8 dollar sign on but once it's gone it's gone.

9 As far as mitigation goes, sure you  
10 can put some tortoise burrows in there and you  
11 can you know lab rear some animals and let  
12 them go. Again that's not the same as what  
13 God put out there. It just isn't. The desert  
14 is the desert and it's extremely special and  
15 it would be a crime to make hasty decisions  
16 that will affect not just your children and  
17 their children but just on down the line.  
18 We're going to lose something very special and  
19 I certainly hope BLM will look at all  
20 alternatives including those that really seem  
21 to be a bit out of their purview here.

22 My last comment I guess would be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 point of source, energy generation. It just  
2 makes so much more sense, I'm sorry, it just  
3 makes much more sense to have all these roofs  
4 that are just radiating heat to do some good.  
5 So good luck. You'll be hearing from us again  
6 I'm sure.

7 MS. HUMBOLDT: Good evening. My  
8 name is Mary Humboldt, I'm a resident of the  
9 city of Riverside and I love the desert.

10 During the Depression I believe it  
11 was Herbert Hoover campaigned for a chicken in  
12 every pot and I believe there should be six  
13 solar panels on every roof in California.  
14 Bigger is not always better, small is  
15 beautiful. I love the California desert.

16 When I came from Minnesota in 1962,  
17 I fell in love with the desert and I urge  
18 everyone to read the books of Edmund Jaeger, a  
19 true naturalist and a man who made the desert  
20 live for everyone.

21 I think that the U.S. government  
22 does not own the sun. The energy harnessed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 should be free and available to each home and  
2 business owner in the world and particularly  
3 in California. Just as air is free, the sun  
4 is free.

5 I would like to know why our  
6 elected officials, Barbara Boxer, Dianne  
7 Feinstein are not at this very important  
8 hearing. Where is Mary Bono Mack, Ken Calvert  
9 and Darrell Issa? I hope their  
10 representatives are here so they can go back  
11 to their bosses and tell them what the  
12 viewpoints of the residents are.

13 I believe that the hardware for  
14 these giant projects are ugly and will blight  
15 our beautiful desert. California has a very  
16 strong initiative process and I believe that  
17 this should go to a ballot and a vote of the  
18 people.

19 Just as we have a California  
20 Coastal Commission, perhaps we need a  
21 California Desert Commission because to take  
22 one million, I've heard different numbers,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 600,000, one million, to take one million out  
2 of the 11 million acres and cover it with  
3 these giant projects is really folly,  
4 particularly when each roof here in California  
5 is crying out for solar panels. Cheap solar  
6 panels would create jobs all over the state;  
7 energy use would probably go down because  
8 people would be watching their own generation  
9 and maybe some of the big energy companies  
10 would be put of business but oh well.

11 Now, the last thing I want to say  
12 is that I really appreciate your holding this  
13 hearing. I wouldn't have known about this  
14 except for an article in our local paper and I  
15 think there would have been more people here  
16 if there had been time, if people had known a  
17 little bit in advance about this. Perhaps in  
18 the future you could put an ad in our local  
19 papers and public notice perhaps so we would  
20 be able to tell people about this. Thank you  
21 very much.

22 FACILITATOR SMITH: Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 That takes us to through the list of folks who  
2 signed up and indicated they wanted to speak  
3 this evening and so now's an opportunity if  
4 you didn't sign up and you would like to come  
5 up and speak the floor's open. We'll just  
6 take you as you raise your hands.

7 And I want to say that you guys are  
8 very well educated in how to provide public  
9 comments and it's been really easy to control  
10 you with just the slightest flick of a card,  
11 so I appreciate that. Anybody else?

12 I know that one of our speakers  
13 early on, Jim Harvey, wanted to complete his  
14 comments and so unless somebody else wants an  
15 opportunity to speak we'll allow him to come  
16 back up and complete his comments. And then I  
17 can offer that to anybody else who's already  
18 spoken. So go ahead.

19 MR. HARVEY: Thank you, Karen, I  
20 really appreciate that. I left off talking  
21 about the perceived disconnect between the  
22 members and the activists of some of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 national environmental groups, and I want to  
2 continue that thought and talk about a  
3 presentation that we gave to the Sierra Club  
4 Desert Committee, the California and Nevada  
5 Desert Committee.

6 Our presentation was very critical  
7 of the Sierra Club and the NRDC staff's  
8 apparent willingness to accept the scraping  
9 and the permanently destroying potential of  
10 almost a million acres of undeveloped pristine  
11 public lands and the premise that it's  
12 necessary.

13 AREP believes no environment should  
14 be compromised or sacrificed under the  
15 questionable banner proclaiming to save it.  
16 Our message was actually well received,  
17 surprisingly by the club members and activists  
18 who overwhelmingly agreed with us. We believe  
19 our concept of comprehensive preservation more  
20 accurately reflects the feelings of the  
21 membership of the various environmental groups  
22 and that their staff members may be working

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 independently of that consensus. So please  
2 keep this in mind when you're considering the  
3 wishes of the national environmental groups. I  
4 hope you will hear from many of the members  
5 during this entire process.

6 Another significant concern that  
7 the Alliance has is the high water use that  
8 was mentioned earlier that's necessary to  
9 operate these enormous solar projects.  
10 Recently the governor of California issued an  
11 Executive Order to address the serious drought  
12 conditions that are plaguing the state,  
13 especially Southern California.

14 It is very widely accepted that  
15 Southern California basins are in depleted  
16 condition, and that's true. In a recent  
17 California Renewable Energy transmission  
18 initiative meeting, among the environmental  
19 working group, discussions on the critical  
20 condition of water availability were steered  
21 towards very responsible oversight of how big  
22 solar applicants would obtain these enormous

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 quantities of water that are needed to operate  
2 and whether or not they could accept the air  
3 or a dry cooling process to reduce their  
4 water consumption.

5 It was no surprise to us that a  
6 representative of Ivanpah's project, applicant  
7 BrightSource, expressed concern about this  
8 oversight and accountability of water use and  
9 instead recommended using general build up  
10 data that was compiled before this water  
11 crisis and is most likely outdated.

12 This only supports AREP's belief  
13 that many of these project applicants are  
14 predisposed to only protecting the enormous  
15 potential profits that they will enjoy if  
16 they're allowed to develop in these multi-use  
17 public lands that we own, and less concerned  
18 about the permanent negative environmental  
19 impacts that will undoubtedly result if these  
20 projects are approved.

21 What we are deciding here is  
22 whether or not failed 1970s big solar and 19<sup>th</sup>

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 century transmission technologies can somehow  
2 be repackaged and this time somehow be made  
3 palatable. Furthermore, many of these  
4 proposed solar projects will require the  
5 supplemental use of fossil fuel that was  
6 mentioned earlier to keep up with the  
7 production expectations. Will these  
8 utilities buying this power also receive the  
9 renewable portfolio standards credit for these  
10 electrons? Are we going to rely on the  
11 honesty of these corporations for complete and  
12 accurate electron accounting?

13 The Alliance for Responsible Energy  
14 Policy urges the participating agencies of  
15 this solar PEIS to consider our argument that  
16 large scale investor-owned solar projects are  
17 unnecessary when addressing air quality and  
18 carbon emission concerns and, in fact, may  
19 actually contribute to increases in air  
20 pollution all things considered.

21 Germany and Spain, as mentioned  
22 earlier, are generating 2,00 new megawatts of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 truly clean distributed energy through  
2 technologies such as localized rooftop  
3 photovoltaics. These countries have embraced  
4 policies that promote localized generation.  
5 But because of extensive lobbying by many of  
6 these big solar applicants and the energy  
7 retailers here in the United States,  
8 decentralized generation has not received the  
9 incentives from our lawmakers so we can  
10 achieve what's already being achieved  
11 elsewhere.

12 We are moving in that direction,  
13 however, a direction that I hope will some day  
14 make this whole debate about sacrificing our  
15 public lands obsolete. Thank you for allowing  
16 me to finish my speech here.

17 FACILITATOR SMITH: Okay. If we  
18 have someone else who would like to add to  
19 their comments?

20 MS. GORDON: Hello again. My name  
21 is Holly Gordon and again I'm vice president  
22 of regulatory and legislative affairs with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 AUSRA.

2 A couple of things I want to  
3 clarify. I appreciate all the comments that  
4 were made here tonight. Just to let you know  
5 my background, I was a plaintiff's  
6 environmental lawyer for eight years before I  
7 came to AUSRA. I've probably represented some  
8 of the folks in this room. In particular I  
9 represented folks in this room opposing the  
10 Eagle Mountain landfill that was going to be  
11 the largest landfill next to Joshua Tree  
12 National Park and we won that case.

13 So just so you know, most of the  
14 people who are in the solar field are on your  
15 side and they want to save the environment and  
16 the desert as well.

17 However, I've also represented  
18 folks who have family members who have died of  
19 asthma and cancer because they grew up next to  
20 coal plants and oil refineries. We can't have  
21 both. And as Josef said earlier from Solar  
22 Millennium if you want to stop the effects of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 climate change you need solar, and the only  
2 types of solar that can compete with coal and  
3 gas in the future are large scale solar.  
4 Distributed generation has a place, but the  
5 small kilowatts that you put on your roof are  
6 just not enough to power this country and if  
7 you use electricity then you have to  
8 understand that there needs to be a balance.

9 I hope that we can work with  
10 everyone in this room and I think we've done  
11 so with our project on the Carrizo Plains and  
12 I think Solar Millennium has done so and Solel  
13 and Optisolar and BrightSource. I work with  
14 all of those companies, and I hope that you  
15 will contact us and work with us to build  
16 technologies that do not emit greenhouse  
17 gases. Thank you.

18 FACILITATOR SMITH: Okay. Would  
19 you like to come up again? Oh, you know what,  
20 there's a woman here who has not spoken yet  
21 and I appreciate you pointing that out and  
22 there was another hand. Have you spoken?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Yes. So that's an addition. Oh man, everybody  
2 wants to keep adding to their thoughts. Okay.  
3 Please.

4 MS. FLANAGAN: Thank you. I am  
5 Pat Flanagan, I am with the Mojave Desert Land  
6 Trust and I will be providing other comments  
7 but I do have three things to say that have  
8 not been brought up tonight. And one of them  
9 is that I'm hoping that in the PEIS as we go  
10 through with that, that we will be using staff  
11 and data that had been gathered by the USGS  
12 over the nine years that they have been  
13 working on the recoverable and vulnerability  
14 of the Mojave Desert.

15 They in particular have a lot of  
16 extraordinarily valuable data on soils and the  
17 types of soils that can recover and those that  
18 do not over time. And so that would be  
19 useful.

20 I would also like to suggest that  
21 as you look at these projects and the shipping  
22 of power that is generated in the desert

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 towards the coast that you look at the various  
2 maps that are available, for one the  
3 earthquake hazard map, I can leave that with  
4 you.

5 The earthquake hazard map and the  
6 USGS prediction that there's a 99.7 percent  
7 chance of a big earthquake in the next 30  
8 years is what divides the desert from the  
9 coast. It also is a very good diagram of the  
10 wild land-urban interface which is  
11 extraordinarily flammable so I would also like  
12 to suggest that you include that. And I will  
13 leave the map with you.

14 FACILITATOR SMITH: Is there  
15 anyone else? I believe you have not yet  
16 spoken? In the back? Is that correct?  
17 Okay. Then we'll get to the people who have  
18 more to say.

19 MR. KATZ: Hello. I'm Gerald Katz  
20 and I work for the city of Colton electric  
21 utility even though I am not speaking for  
22 them. I've been working environmental work,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I've been working in solar for almost 30 years  
2 and I myself have been off grid for 20 years  
3 so I know how that works.

4 But working for a utility, and I  
5 work with a lot of the other utilities, and a  
6 lot of these traditionalists they like to deal  
7 with big megawatts because that's what our  
8 industries need.

9 You can definitely provide most of  
10 the energy for a home and small businesses but  
11 you get multistory buildings, you get big  
12 industry, they need a lot of power and the  
13 traditionalists in this electric utility  
14 industry, I've been in meetings and they  
15 expect big solar to fail because they love  
16 nuclear power, they love coal power and a lot  
17 of utilities have been getting our energy from  
18 strip mines 20 x 100 miles long. And if you  
19 want to talk about destruction of the land,  
20 that is destruction. If you want to talk about  
21 water being polluted and wasted, that is  
22 water being wasted and totally polluted.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So solar, big solar, your rooftops  
2           are great, do all that you can in it, but the  
3           utilities will want to do their coal and claim  
4           they can sequester it, they want to do  
5           nuclear, and if you've seen strip mines it's  
6           atrocious what it does. So you need to work  
7           out a compromise.

8           I came here to see the battle of  
9           the environmentalists against each other  
10          because we all really want to save our planet  
11          and make life better for everyone and we need  
12          some compromises so we can get appropriate  
13          large scale solar to satisfy the needs for  
14          industry, to make people know that.

15          If you read your newspapers there  
16          are all of these things about there are no  
17          alternatives. Yesterday they said well, if  
18          you want to wait a generation for solar to  
19          work -- we need nuclear now. We need coal  
20          now. So I want everyone to, you know, get  
21          together and see what lands we can build solar  
22          on that wouldn't degrade sensitive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 environments. Thank you and I hope you can  
2 all get together and work things out for a  
3 better environment. Thank you.

4 COURT REPORTER: Can you give your  
5 name one more time please sir?

6 MR. KATZ: Gerald Katz. K-a-t-z.

7 FACILITATOR SMITH: Okay. Any  
8 other first time speakers? Okay. We'll go  
9 with you and then the others, you wanted to  
10 speak again and you and you? Okay.

11 MS. VIOLA: The competitive spirit  
12 of our marketplace will figure out ways to  
13 rapidly provide less expensive and more  
14 efficient photovoltaic systems to consumers.  
15 New local energy generating projects will move  
16 forward from research and development  
17 laboratories to our homes and buildings at a  
18 rapid pace this nation is capable of  
19 achieving.

20 Delivery systems for locally  
21 generated energy that minimize or eliminate up  
22 front costs for property owners will flourish

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in a responsible energy policy environment.

2 AREP also encourages BLM to  
3 consider the potential energy savings that our  
4 nation could realize if our energy policy also  
5 were to favor demand side management. Venture  
6 capital and numerous products will follow,  
7 many already exist, that assist home and  
8 business owners and building engineers to  
9 reduce energy consumption without compromising  
10 lifestyles and business practices.

11 In closing, AREP once again wants  
12 to thank the BLM for initiating this  
13 cumulative study. We strongly encourage BLM  
14 to consider the suggestions and  
15 recommendations contained in our comments and  
16 we trust BLM will want to play a key role in  
17 moving our nation forward in the direction of  
18 responsible energy policy development.

19 I just want to make a couple of  
20 other comments and just to state that rooftop  
21 solar is not the only thing that needs to be  
22 considered. There's lots of ideas with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 development of thin film solar where  
2 applications can happen on multistory  
3 buildings. There's the development of solar  
4 panels on all existing parking lots which  
5 could be covered and protect cars from intense  
6 sunlight and, at the same time, generating  
7 use. Brown field development for already  
8 disturbed lands which could be developed with  
9 solar panels.

10 So there's many other avenues other  
11 than just rooftop development. Thank you for  
12 your time.

13 FACILITATOR SMITH: Thank you.  
14 We'll go with you next.

15 MR. HOFFMAN: Wayne Hoffman again  
16 with Optisolar. I have to say I stand here a  
17 little frustrated because I come from a  
18 background of 35 years of environmental  
19 planning. I started my career in 1970 on  
20 Earth Day setting up the first public interest  
21 research group for Ralph Nader in the state of  
22 Ohio.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           We sued the coal companies there  
2 for strip mining land without reclamation.  
3 This is the kind of work I've been doing for  
4 the last 30 years as an environmental planner.

5       This is not a bunch of profit-seeking  
6 companies coming into the desert to destroy  
7 it. And I feel compelled to refute a number  
8 of misunderstandings today.

9           We're developing a project on  
10 private land in California and we've searched  
11 private land incessantly for locations where  
12 we can put solar plants -- and we still are.

13           However, this one project we're  
14 building in California has enough solar power  
15 to offset all of the carbon dioxide from all  
16 the cars in that county. This is not a small  
17 insignificant populated county. It has  
18 enough energy production to produce energy for  
19 that entire county, electrical energy, and for  
20 those who are saying that the solution is  
21 rooftop, all I can say is you don't know the  
22 numbers and you don't know the facts because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 rooftop costs on average at least twice what  
2 most of these companies are bidding into the  
3 California RFP process.

4           The other fact about this is that  
5 the state of California only accepts power  
6 which is competitively priced.        The  
7 construction of these solar plants has been  
8 coming for 30 years.   The process, for example  
9 which our company has developed, is not a  
10 breakthrough in energy technology. Thin film  
11 solar has been used successfully by Sacramento  
12 municipal utilities district for over 25  
13 years.   The technology breakthrough is in the  
14 manufacturing.

15           Those of you who are saying the  
16 government is not doing enough to encourage  
17 rooftop solar I agree with.   I'd like to know  
18 how many of the people who are criticizing the  
19 solar companies have rooftop solar.   I would  
20 be willing to bet that a lot more of the solar  
21 developers do.   I do for example.

22           I'd like to know how many of you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 drive hybrid cars.

2           These are issues that are dear to  
3 our heart. We're not walking into the desert  
4 mindlessly. If you look at the facts what  
5 you're going to see from this development  
6 process is a tremendous amount of protected  
7 land created by the mitigation from these  
8 plants. They're not going to happen without  
9 desert mitigation for the desert toward us.

10           Those companies like ours who are  
11 out there preemptively doing full scale  
12 protocol surveys are providing invaluable data  
13 to BLM and to the state of California for the  
14 protection of the species. This is not  
15 insignificant.

16           We're seeing several hundred  
17 thousand dollars being spent per project for  
18 this kind of thing with no guarantee these  
19 permits are going to be approved.

20           There's a lot of information that  
21 is going to evolve. I'm not here to say you  
22 should approve 73 solar projects. As has been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 said before, most of us know that these 73  
2 projects are not going to be able to meet the  
3 solar price requirements. I don't know how  
4 many of them will be approved. That's what  
5 we're here to talk about. We're not going to  
6 come to conclusions today about any of this.

7 I encourage you to continue to  
8 bring your viewpoints to the table but to  
9 continue checking the facts ahead of time  
10 before you come in with statements about  
11 what's cheaper and what's not, about what's  
12 viable and what's not, about the fact that  
13 there's this new coal plant being opened in  
14 California, I mean in China every week, and  
15 that if we're ever going to offset the global  
16 gases that come out of these plants, we're  
17 not going to do it with rooftop solar and  
18 we're not going to do it with wind energy.  
19 We're not going to do it with solar energy.  
20 We're not going to do it with nuclear energy.  
21 We're going to do it with a combination of  
22 many of these things.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           This is something that we all have  
2 to live with. We've been on this planet for a  
3 heck of a long time. We've done a lot of  
4 damage in less than 100 years.

5           We're not going to solve this  
6 problem in three years or five years or ten  
7 years. But we're going to have to look at  
8 the sacrifices that we all have to make. And  
9 the solar companies are going to have to make  
10 some, not everybody's going to get their way.

11           The people who live in the desert  
12 are going to have to sacrifice. The BLM land  
13 belongs to over 300 million Americans, not to  
14 the people in this room. And it doesn't  
15 belong to the solar companies.

16           But we're hoping that we can find  
17 ways to develop projects and Optisolar is  
18 looking at the option of creating compatible  
19 environments with at least two major  
20 endangered species in California and yet being  
21 able to continue to develop solar projects on  
22 these properties.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So let's wait for the facts, let's  
2 wait for the studies, let's recognize that not  
3 a single project level EIS has been completed  
4 or even started to any significant degree in  
5 the state of California.

6           We have some progress through the  
7 CEC on some concentrated solar thermal  
8 projects, and I would also like to point out  
9 that photovoltaic projects do not use  
10 considerable amounts of water. The only  
11 water we expect to be using is during our  
12 operation for the construction of certain  
13 elements of the plant and for washing panels  
14 on approximately a once or twice a year basis  
15 using only a few acre feet of water for a 500  
16 megawatt project.

17           So I'm just here to encourage  
18 everyone to be open, be honest, search for the  
19 facts and wade through the process with us.  
20 We know this is going to take a long time and  
21 while this is going on there's going to be a  
22 lot of other things happening beside this PEIS

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and I think all the BLM people would tell you  
2 it's not going to solve your problems. Thank  
3 you.

4 FACILITATOR SMITH: The gentleman  
5 in the back, would you like to add to your  
6 comments?

7 MR. WALLACH: I would just like to  
8 ask folks--

9 FACILITATOR SMITH: Would you  
10 repeat your name please?

11 NR. WALLACH: Lee Wallach. I  
12 would like to ask folks to really listen to  
13 what was just said. A couple of our last  
14 speakers really touched upon some of those  
15 critical issues that are important if we're  
16 going to be moving forward.

17 This is a partnership. I know that  
18 the folks up here feel that it's a  
19 partnership. Some of these folks I know well  
20 and have done more than most people in this  
21 country to make sure that we have a  
22 responsible energy policy. We are a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 partnership in this.

2           The misconceptions that are running  
3 rampant are very concerning to me and to our  
4 industry. Our solar troughs we're looking at  
5 dry cooling, we've never looked at you know  
6 significant amounts of water. We are using  
7 zero gas or other fuels to fuel our plant.  
8 I've heard comment after comment that are just  
9 unfortunately a little ill-informed. It's  
10 important that we work together in order to  
11 address these issues.

12           The distributed solar efforts in  
13 our country, as someone had mentioned, are a  
14 disaster. I would agree. I personally as  
15 well as my colleagues spend an enormous amount  
16 of time, not just on large scale solar but  
17 pushing real energy policy in this country,  
18 real money for distributed solar. Not just  
19 large scale solar; all of it.

20           So it's important that we form this  
21 partnership. It's important to us. Like my  
22 colleagues I almost live off the grid but I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have two little kids and I can't get them to  
2 turn the lights off. We can actually do this  
3 if we come to this together, and I want you to  
4 also understand that the land that we need to  
5 save, the critical areas for species, are just  
6 as critical to us.

7           There is a partnership here. I've  
8 seen it happen. I've seen the desert tortoise  
9 live amongst solar. We really can help to  
10 make this happen. So I look forward to what  
11 we can do in the future moving forward. And  
12 think carefully before you push too hard in an  
13 opposite direction.

14           Be careful what you wish for  
15 because there are folks, a lot of them out  
16 there, hoping that we fail and the next group  
17 of folks will be looking at a coal plant, will  
18 be looking at a nuke plant, will be looking at  
19 spending a whole lot more money on oil. And  
20 I wonder how many folks have died this year  
21 from Riverside County overseas. Be careful  
22 what we wish for. We have to make these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 changes now. It's a failed energy policy. We  
2 can change it together. Thank you.

3 FACILITATOR SMITH: I see an  
4 individual in the back. I don't believe  
5 you've spoken. Come on up.

6 MS. NICHOLSON: My name is Melissa  
7 Nicholson and I work for the Desert Tortoise  
8 Preserve Committee. And I'm going to keep it  
9 very short and I want to concur with that the  
10 last speaker just said, and I urge you to  
11 think thoroughly about each of these projects.  
12 And when you push to open lands that have been  
13 historically conserved and been hard-won in  
14 the first place to set aside and then mention  
15 how and then we'll just mitigate, that it's  
16 not as simple as just oh we can just mitigate  
17 this land by setting aside. Because when you  
18 think of the large scale of these projects and  
19 the need to mitigate on a 1 to 3 acre ratio,  
20 where are these lands going to be found for  
21 the purposes of mitigation? And if we're  
22 setting aside these lands, are they of equal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 habitat quality or are we going to be putting  
2 these animals in a place where they're doomed  
3 to not be able to survive?

4 And I urge you to look at the  
5 success level of the large scale translocation  
6 that's going on right now at Ft. Irwin and see  
7 how that's affecting these tortoises, and the  
8 Mojave ground squirrel, and burrowing owl.  
9 So, as I said, the push, I think you get a lot  
10 of the environmentalists who are stepping up  
11 and saying no, no, no when we see this push to  
12 open these lands that we're working so hard to  
13 conserve. And that's all I have to say. Thank  
14 you.

15 FACILITATOR SMITH: Thank you.  
16 Dennis also known as Denise.

17 MR. TRAFECANTY: Dennis  
18 Trafecanty. Well, we haven't talked about  
19 something that's going on right here in  
20 Riverside and San Bernardino County; 250  
21 megawatts rooftop solar has been announced, I  
22 think it's a million square feet or something

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 like that. It's a million something.

2 And when Southern Cal Edison gets  
3 that one done they're going to do another one.

4 So quit pooh-poohing rooftop solar. You're  
5 all doing it, you're developers, you want to  
6 make some money. I understand that, I'm a  
7 businessman, I own property, I own a business.

8 But you really need to consider,  
9 Mr. Hoffman, unfortunately you could build the  
10 best solar plant out in the desert but you're  
11 going to have to transmit the energy and that  
12 means transmission lines.

13 There's a plan in San Diego called  
14 the San Diego Smart Energy Plan I'm going to  
15 give to all of you and it was funded by the  
16 San Diego Foundation and it's primarily based  
17 on PV, in basin PV including commercial  
18 rooftop solar. Of course SDG&E see  
19 unfortunately for me, Mr. Hoffman, I heard a  
20 lot of what you said but I know what greed's  
21 all about. I mean I've been dealing with SDG&E  
22 for quite some time. By the way I do have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 solar on my rooftop. And they're doing  
2 whatever they can to get through the state  
3 park and they're doing whatever they can to  
4 bring fossil fuel from Thailand and Russia  
5 through Mexico up through El Centro and right  
6 through the desert state park. So I'm kind of  
7 scarred by that and I'm concerned about it.

8 But anyway I primarily want to tell  
9 you that rooftop solar is something that's  
10 there. Chiasera has it on their parking  
11 structures. There's tons of -- in San Diego  
12 there's 3 percent less sun power coming into  
13 San Diego than there is in Riverside, just 3  
14 percent. So we can get a lot of rooftop down  
15 there and you can get it up here and we could  
16 solve all of our energy needs with combined  
17 heat and power which UCSD does and larger  
18 buildings they're doing it in San Diego and  
19 with rooftop solar, commercial parking lots  
20 and all of us. I have 18 panels. Thank you.

21 FACILITATOR SMITH: Would you like  
22 to continue?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MCFARLANE: I wasn't able to  
2 finish everything I was going to say. I want  
3 to go back just a little bit on my--

4 FACILITATOR SMITH: Would you  
5 repeat your name please?

6 MR. MCFARLANE: John McFarlane,  
7 Alliance for Responsible Energy Policy.

8 I want to go back just a second on  
9 my comments about scientific theories. I  
10 really do think that we have to dwell on that.

11 We have to look at the interconnectedness of  
12 the entire university. But I also believe  
13 that the Alliance for Responsible Energy  
14 Policy is indeed a group of concerned citizens  
15 who have no intent whatsoever of impeding  
16 responsible progress. That's not what we've  
17 said. We haven't said do not come on the  
18 desert and build big solar plants. That's not  
19 what we're saying.

20 What we have been trying to say is  
21 there's more than one way to look at the  
22 issue. What I've been trying to point out is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that we have a lot of information about  
2 greenhouse gases and the fact that this  
3 planet's going to crash and burn in a decade  
4 if we don't do something. And I think we're  
5 responding to that.

6 We need to respond to the fact that  
7 there is scientific evidence on the other side  
8 also. There are scientists who say that  
9 that's not really the case, that greenhouse  
10 gas emissions are not all that bad, it's not  
11 going to destroy the planet and that possibly  
12 actions taken by mankind are not going to be  
13 able to stop it anyway. So we need to get back  
14 and slow down and take a look at it.

15 I'm not saying don't build large  
16 scale solar but I'm saying look equally at the  
17 other alternatives. Nuclear may be an  
18 alternative to large scale solar. And we've  
19 had a lot of scare tactics since Three Mile  
20 Island and Chernobyl and everybody listens to  
21 those scare tactics and let environmentalists  
22 get us to shy away from nuclear. It's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 probably just as viable an option.

2 We're looking at developing a PEIS  
3 for solar but we also need to look at the  
4 other options, and while we're looking at  
5 solar we need to really closely look at these  
6 people who are saying rooftop solar's not the  
7 answer because it may well be -- if the  
8 government can put funding into research and  
9 development and if the government can put  
10 incentives into the companies who are  
11 researching and developing more effective  
12 rooftop solar every day, rooftop solar may be  
13 even a better alternative than big huge solar  
14 plants with long distance transmission.

15 And you know most of the big  
16 generation companies will not admit that long  
17 distance transmission involves loss. If you  
18 can find some of them that are willing to  
19 admit it a little bit you'll see that some of  
20 them will say, yes, there can be 7 percent  
21 loss in long distance transmission, up to 14  
22 percent maybe during peak periods. That's not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a whole lot, 7 percent, unless you look at the  
2 fact that ratepayers are eating that loss and  
3 if we, the ratepayers, are eating 7 percent of  
4 a \$100 billion dollar industry that's a lot of  
5 money.

6 Our research at the Alliance for a  
7 Responsible Energy Policy has shown us or led  
8 us to believe that centralized generation  
9 based on long distance transmission is  
10 outdated methods and technologies, these are  
11 less responsible than distributed energy  
12 generated at point of use through modern  
13 technologies which are becoming more available  
14 and more effective on a daily basis.

15 FACILITATOR SMITH: Okay. Thank  
16 you. Anybody else who's not had an  
17 opportunity to speak or has a scoping comment  
18 to continue? Well I guess we're about at the  
19 end of that and I'd like to offer DOE and BLM  
20 an opportunity if you have anything to say in  
21 closing.

22 MR. BORCHARD: Sure. Thank you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 very much for taking time out of your busy  
2 schedules and sharing your views -- divergent  
3 views -- with us, that's what we want to hear.

4 We want to hear everybody's viewpoint. That's  
5 part of this process, part of the transparent  
6 process.

7 So thank you for taking the time to  
8 come here tonight and please submit comments  
9 and continue to be involved in this process.  
10 This is just the start. Stick with us  
11 throughout the whole process.

12 MR. WILKINS: I'd sort of like to  
13 confirm the same thing. I'm an engineer, I  
14 tend to know a lot of the technology more so  
15 than the environmental impact, so I think I  
16 learned a lot tonight. And I'm all for the  
17 environment and I'm hoping that we can, as  
18 somebody else said, form a partnership so that  
19 we can have solar and have the environment  
20 also. I don't think it has to be one or the  
21 other -- at least I hope it doesn't have to be  
22 one or the other.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 FACILITATOR SMITH: All right.  
2 Well thank you very much everyone. And  
3 appreciate your time this evening. Thank you.

4 (Whereupon, the Public Scoping  
5 Meeting, having been concluded, went off the  
6 record at 8:48 p.m.)

7

8

9

10

11

12

13

14

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701